

1 NATIONAL TRANSPORTATION SAFETY BOARD  
2 Washington, D.C.

3 \_\_\_\_\_X  
4 In the Matter of: :  
5 :  
6 THE INVESTIGATION OF THE :  
7 USAIR, INC. FLIGHT 427, : SA-510  
8 A Boeing 737-300, N513AU :  
9 Aliquippa, Pennsylvania :  
10 September 8, 1994 :

11 .  
12 .....X

13 Springfield Hilton Hotel  
14 Caribbean Ballroom  
15 6550 Loisdale Road  
16 Springfield, VA 22150

17  
18 November 17, 1995

19  
20 The above-entitled matter came on for hearing  
21 pursuant to Notice, at 8:30 a.m.

22

23

CAPITAL HILL REPORTING, INC.

(202) 466-9500

1 Board of Inquiry

2 Jim Hall, Member, NTSB

3 Chairman

4

5 William G. Laynor, Technical Advisor

6 Office of Managing Director

7

8 Ronald L. Schleede, Deputy Director

9 Office of Aviation Safety

10

11 Michael L. Marx, Chief

12 Materials Laboratory Division

13 Office of Research and Engineering

14

15 John Clark, Chief

16 Vehicle Performance Division

17 Office of Research and Engineering

18

19 Technical Panel:

20 Thomas Haueter

21 Gregory Phillips

22 James Cash

23 Thomas Jacky

Malcolm Brenner

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 Staff:

2 Michael Benson, Public Information Officer  
3 Office of Public Affairs

4

5 Daniel Campbell, Director  
6 Office of General Counsel

7

8 National Transportation Safety Board  
9 490 L'Enfant Plaza, S.W.  
10 Washington, D.C. 20594

11

12 Parties to the Hearing:

13

14 Federal Aviation Administration  
15 Department of Transportation  
16 Harold Donner  
17 800 Independence Avenue, S.W.  
18 Washington, D.C. 20951

19

20 Air Line Pilots Association, International  
21 Captain Herb LeGrow  
22 Chief, Accident Investigator, USAir  
23 ALPA National Accident Investigation Board

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           3877 Nottingham Drive  
2           Tarpon Springs, Florida 34689  
3  
4           USAir, Inc.  
5           General Malcolm B. Armstrong  
6           Lt. General USAF (Ret.)  
7           Vice President, Corporate Safety  
8                     and Regulatory Compliance  
9           Pittsburgh International Airport  
10          P.O. Box 12346  
11          Pittsburgh, Pennsylvania 15231-0346  
12  
13          Boeing Commercial Airplane Group  
14          John W. Purvis  
15          Director, Air Safety Investigation  
16          P.O. Box 3707, #MS 14-HM  
17          Seattle, Washington 98124-2207  
18  
19          Monsanto Company  
20          Frank P. Jakse  
21          Technical Service Manager,  
22                     Functional Products  
23          800 N. Lindbergh Boulevard

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 st. Louis, Missouri 63167

2

3

4

5 Parker Hannifin Corporation

6 Steve Weik

7 Manager, Technical Integrity

8 Parker Bertea Aerospace

9 16666 Von Karman Avenue

10 Irvine, California 92714

11

12 Flight Safety Committee, Association of

13 Machinists and Aerospace Workers

14 Jack Wurzel

15 Suite 2B 880 Narrows Run Road

16 Coraopolis, Pennsylvania 15108

17

18

19

20

21

22

23

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1  
2  
3  
4  
5

**CAPITAL HILL REPORTING, INC.**

**(202) 466-9500**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

C O N T E N T S

<u>Witnesses:</u>	<u>Page:</u>
James William Kerrigan	
Boeing Commercial Airplane Group	2209
Jean Allen McGrew	
Boeing Commercial Airplane Group	2307
Malcolm Martin Cohen	
NASA-Ames Research Center	2394

CAPITAL HILL REPORTING, INC.

(202) 466-9500

I N D E X

1		
2	<u>Witnesses:</u>	<u>Page:</u>
3		
4	JAMES WILLIAM KERRIGAN	
5	By Mr. Schleede	2209
6	By Mr. Jacky	2210
7	By Mr. Haueter	2268
8	By Captain LeGrow	2271
9	By Mr. Clark	2280
10	By Mr. Schleede	2297
11	By Mr. Laynor	2301
12		
13	JEAN ALLEN MCGREW	
14	By Mr. Schleede	2307
15	By Mr. Phillips	2308
16	By Mr. Jacky	2348
17	By Mr. Haueter	2352
18	By Mr. Donner	2359
19	By Captain LeGrow	2360
20	By General Armstrong	2369
21	By Mr. Purvis	2369
22	By Mr. Clark	2370
23	By Mr. Marx	2378

		2211
1	By Mr. Laynor	2381
2	By Mr. Schleede	2384
3		
4	MALCOM MARTIN COHEN	
5	By Mr. Schleede	2394
6	By Dr. Brenner	2395
7	By Mr. Haueter	2409
8	By Mr. Purvis	2410
9	By Captain LeGrow	2414
10	By Mr. Clark	2415
11	By Mr. Schleede	2417
12		

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10

[Time noted: 8:30 a.m.)

CHAIRMAN HALL: Good morning. We will reconvene this board of inquiry and call as our next witness Mr. Jim Kerrigan, Principal Engineer of 737 Aerodynamics, Stability and Control, with the Boeing Commercial Airplane Group, Seattle, Washington.

Thank you for being here, Mr. Kerrigan.

(Witness testimony continues on the next page.)

1                   JAMES WILLIAM KERRIGAN  
2                   PRINCIPAL ENGINEER, B-737  
3                   AERODYNAMICS STABILITY AND CONTROL  
4                   BOEING COMMERCIAL AIRPLANE COMPANY

5 Whereupon,

6                   JAMES WILLIAM KERRIGAN  
7 was called for examination and, having been duly sworn,  
8 was examined and testified as follows:

9                   MR. SCHLEEDE: Mr. Kerrigan, please give us  
10 your full name and business address.

11                   THE WITNESS: My name is James William  
12 Kerrigan, I work for the Boeing Company in Seattle,  
13 Washington.

14                   MR. SCHLEEDE: And your position at Boeing?

15                   THE WITNESS: I'm a lead engineer in  
16 aerodynamics, stability and control, working primarily  
17 on the 727 and 737 aircraft.

18                   MR. SCHLEEDE: How long have you worked at  
19 Boeing?

20                   THE WITNESS: I've been with Boeing just over  
21 30 years.

22                   MR. SCHLEEDE: Could you give us a brief  
23 description of your education and background?

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           THE WITNESS: I graduated from the University  
2 of Minnesota with a bachelor of science in aeronautical  
3 engineering, worked one year at General Dynamics before  
4 I came to the Boeing Company. Worked on the 737 for a  
5 long time at the Boeing Company, since its original  
6 certification.

7           MR. SCHLEEDE: And you participated in the  
8 investigation of U.S. Air 427?

9           THE WITNESS: Yes, I did.

10          MR. SCHLEEDE: In what capacity?

11          THE WITNESS: As a lead engineer, I have had  
12 about six to seven people working on that accident  
13 since it occurred.

14          MR. SCHLEEDE: And you are assigned to the  
15 aircraft performance group?

16          THE WITNESS: I am a member of the  
17 performance group, correct.

18          MR. SCHLEEDE: Did you work on the United 585  
19 investigation?

20          THE WITNESS: Yes, sir, I worked on that  
21 investigation during its course as well.

22          MR. SCHLEEDE: Thank you. Mr. Jacky will  
23 proceed.

1 MR. JACKY: Thank you. Good morning, Mr.  
2 Kerrigan.

3 THE WITNESS: Good morning.

4 MR. JACKY: Mr. Schleede alluded to your  
5 participation within this investigation. Could you be  
6 a little bit more specific in terms of what  
7 accomplishments you've provided during investigation?

8 THE WITNESS: Well, my group particularly  
9 works a lot on the simulator. We've been a member of  
10 the performance group. One of my engineers went to  
11 Washington, D.C. to help with the flight data recorder  
12 reduction and getting that ready for, getting data  
13 ready from the flight data recorder, recovering it. We  
14 provide support in terms of the simulator. We are the  
15 group that originally produced the simulator for the  
16 737. We have, we arranged the simulator sessions and  
17 bring the pilots and everybody into those sessions,  
18 coordinate with the NTSB and the other parties.

19 And we also have set up the flight test data,  
20 or the flight testing that occurred in Atlantic City.  
21 Any testing that's done is usually coordinated by my  
22 group.

23 MR. JACKY: Okay. And what is the mandate of  
24 the organization when you're not conducting accident

1 investigations?

2 THE WITNESS: My group is titled at this  
3 point Product Support. We basically support the  
4 product in the field, the 727, 737, 707. We deal a lot  
5 with the customers, customer support bases, any  
6 incident that happens in the fleet would normally be  
7 handled by my group if it involved stability and  
8 control of the airplane. We also deal with production  
9 support, any problems that occur in the production line  
10 of the airplane that require our attention. That's the  
11 primary functions.

12 MR. JACKY: And in support of this  
13 investigation, has your group been doing readouts of  
14 various FDR information that has been coming in?

15 THE WITNESS: Yes. Since the accident, of  
16 course, there have been quite a few other events that  
17 have been reported. There's been an increased  
18 awareness of the 737 and reported problems with the  
19 airplane. So there have been quite a few events where  
20 flight data recorders have been pulled. And they  
21 typically come into Boeing through my group as far as  
22 getting the flight data recorder readouts.

23 MR. JACKY: Thank you. Before we start  
24 talking about some of the flight tests that have been

1 accomplished, I was wondering if you could give us a  
2 brief description of the 737 engineering simulator.

3 THE WITNESS: Okay. The 737 simulator is  
4 originally generated from wind tunnel data and  
5 analytical, empirical data that we have generated over  
6 the years on the various models. We look at the 737-  
7 300 simulator, of course, it preceded, it was preceded  
8 by two other models of the 737, the 100 and 200. So we  
9 had a simulator document already in existence for those  
10 airplanes.

11 Our approach to the 300 was to get into the  
12 wind tunnel and look for differences between the two  
13 airplanes. And generally, that difference was then  
14 applied to the 737-200 advanced simulator. That gave  
15 us a real leg up on the way we would normally do it on  
16 a new airplane.

17 That data then becomes our initial simulator  
18 document. The simulator is then compared to the flight  
19 test data that we take during preflight or precert and  
20 certification testing. And we do updates to the  
21 simulator based on that flight test data.

22 In the case of the 737-300, I believe there  
23 have been, in addition to the initial update to flight  
24 test, there have been three revisions to that document

1 since that time. These are very substantial efforts on  
2 our part. Basically an update to the full simulator  
3 requires about 12 people working for 9 months. So it's  
4 like nine man years to update the document.

5 The simulator document is a rather  
6 substantial document, about 800 pages in it. And the  
7 update to that, from an aerodynamic standpoint, is a  
8 rather massive job.

9 MR. JACKY: You mentioned providing updates  
10 of the simulator model. What would prompt you to do an  
11 update of the model?

12 THE WITNESS: Well, the primary reason for  
13 putting out a simulator, well, there are several  
14 reasons. One is flight crew training. Another is for  
15 evaluations of things like accidents and incidents.  
16 And we would, if it came to our attention that there  
17 was an area in the simulator that was deficient, or  
18 things did not work quite correctly in terms of pilot  
19 expectations in the simulator, that it didn't fly like  
20 the airplane or in a certain area was not, didn't have  
21 the fidelity that we wanted, we would go in and update  
22 it.

23 And also the simulator is held up to some  
24 rather rigid standards by the FAA simulator branch.

1 And those, the requirements over the past 10 years,  
2 which is the period of time that this airplane's been  
3 in service, have become quite a bit more stringent.  
4 And when they tighten their tolerances, we quite often  
5 have to go in and revise the document to meet those  
6 tolerances.

7 MR. JACKY: Would the FAA as a matter of  
8 course require you to update it, or is it just whenever  
9 there's an upgrade to the requirements?

10 THE WITNESS: Well, if the rules have  
11 changed, if the tolerances have tightened. They don't  
12 mandate that we change it, but if we want to meet their  
13 requirements and have a training simulator that is up  
14 to the current FAA standards for flight simulators, we  
15 would have to revise it.

16 MR. JACKY: And is it Boeing Company's  
17 intention to have a simulator that meets that, the  
18 current regulation?

19 THE WITNESS: Yes. Yes. There's a big  
20 advantage in terms of flight crew training. It's  
21 obviously much safer to train to some of the unusual  
22 maneuvers and engine outs and things in a simulator as  
23 opposed to doing it on the airplane. Much cheaper and  
24 safer.

1           MR. JACKY: You mentioned doing things on the  
2 airplane. For the simulator model, is the entire  
3 envelope flight tested and then entered into the  
4 simulator document?

5           THE WITNESS: Well, when you ~~say the~~ entire  
6 envelope, we fly the airplane during certification and  
7 precert and simulator testing from full stalls up to  
8 the placards of the airplane. So we would fly it up to  
9 the VFE, the placards at each flap down. We fly it to  
10 the dive placards flaps up. So in that regard we cover  
11 the whole envelope.

12           We don't necessarily do dangerous testing,  
13 high angle of attack, high side slip at the same time.  
14 That's an area we don't cover. And that's obviously  
15 an area that we got into in this current accident. So  
16 there are areas where we can't fly or won't fly. But  
17 we try to cover the entire envelope during that  
18 testing.

19           MR. JACKY: There was some talk yesterday  
20 about dynamic input of the rudder. Would that qualify  
21 as being, in your mind, a dangerous flight activity?

22           THE WITNESS: We had never tested a dynamic  
23 rudder input, to my knowledge, on the airplane prior to  
24 our Atlantic City testing. And it wasn't that it was

1 considered dangerous in that what we did at Atlantic  
2 City would certainly have been an acceptable test. The  
3 only reason it really hadn't been done is it never had  
4 been required or asked for by anybody. It certainly is  
5 a reasonable test the way we conducted it.

6 As was pointed out yesterday, a full rudder  
7 input on the other hand is not something that we wanted  
8 to do on a customer's airplane. If we had thought of  
9 doing that during our original certification on the  
10 fully instrumented airplane, I don't think it would  
11 have been a problem to do that maneuver.

12 MR. JACKY: But the maneuver isn't required  
13 for certification of the airplane?

14 THE WITNESS: No. There is no requirement to  
15 do any kind of rudder step for certification.

16 MR. JACKY: Now, once you have a simulator  
17 model or simulator document, how do you as engineers  
18 utilize that information?

19 THE WITNESS: Well, the simulator document is  
20 then turned into a simulation of the airplane. We have  
21 computer simulators at this point in time where each  
22 engineer basically has a computer on his desk that  
23 allows a complete simulation on the airplane. We can  
24 do a lot of background simulation work there.

1           We also have the capability of attaching that  
2 to a simulator cab, a simulated airplane cab. In this  
3 case, you've heard the M-CAB mentioned. That's our  
4 primary tool. It's a multipurpose cab. We can  
5 simulate any airplane, from the 707 to the 757, I  
6 believe, in that cab.

7           And that allows us to work with pilots in the  
8 loop. And that has a computer generated image for a  
9 visual scene. It has a motion base which is about  
10 equivalent to what some of the training simulators are,  
11 in terms of its throw. It's not a large motion  
12 simulator, it's fairly restricted. But it does have a  
13 motion system on it.

14           MR. JACKY: And as you mentioned, the M-CAB  
15 simulator, that is the simulator that has been used for  
16 the wake vortex modeling and simulator sessions so far?

17           THE WITNESS: Yes, that's correct.

18           MR. JACKY: Is then the simulator model or  
19 the document, is that the information that goes to  
20 individual carriers or operators as far as their flight  
21 simulators are concerned?

22           THE WITNESS: Yes. We don't keep a separate  
23 simulator model for the training purposes. We have one  
24 simulator. It's generally used for engineering work

1 and for flight crew training. In the case of a  
2 particular accident, such as this one, we may well go  
3 into that simulator and try to increase the fidelity in  
4 a certain area where we haven't emphasized it before.

5 And in fact, in this case, we did go into the  
6 wind tunnel early in the investigation, with the 737-  
7 300 model, and looked at some high angle of attack,  
8 high side slip areas where we had not previously  
9 tested. And that data has been incorporated into the  
10 engineering simulator for the purposes of this  
11 investigation. At this point, it hasn't been put into  
12 a training simulator. It may eventually make it into  
13 that. But to date, it hasn't been revised.

14 MR. JACKY: And earlier, when we were talking  
15 about the flight envelope and expressing that in the  
16 simulator, is there testing conducted at all flap  
17 settings?

18 THE WITNESS: Flight testing?

19 MR. JACKY: And then put into the simulator?

20 THE WITNESS: Yes. Flight testing, we do  
21 some maneuvers at every flap setting. Stalls in  
22 particular are done, I think, at every flap setting  
23 that exists on the airplane. Other data may not be  
24 done at each flap setting. For example, we have three

1 takeoff settings on the 300 flaps, 1, 5 and 15. And we  
2 might not do everything at all three of those. We  
3 would probably do flaps 1, 15 and then pick a landing  
4 flap to do our flight testing at. And then interpolate  
5 between those.

6 MR. JACKY: Would you say that you have as  
7 much flight testing support as you would like for  
8 putting together the simulator document?

9 THE WITNESS: Well, I'm an engineer. We  
10 never get too much flight test data. I'd dearly love  
11 to have more.

12 But we do have a sufficient amount to do the  
13 job that we have to do.

14 MR. JACKY: Okay, thank you.

15 I'd like to get in and start talking about  
16 the simulator calibration flight test that was talked  
17 about yesterday. I was wondering if you might be able  
18 to describe the objectives that were held for that  
19 test.

20 THE WITNESS: Okay. The simulator  
21 verification test, which has been, was a part of our  
22 original performance group desires, or test plan, was  
23 primarily put into obtain more data at the flaps 190  
24 knot condition than we previously had. We did have

1 some data at that flight condition. But obviously, not  
2 nearly as much as we picked up in Atlantic City. We  
3 did a variety of maneuvers, some of which had never  
4 been done in the airplane before.

5 The primary maneuvers that we did were roll  
6 rate maneuvers, where we put a wheel at different  
7 settings, one-third, half, full wheel, rudder kicks, up  
8 to three-quarters of the rudder available, steady side  
9 slips, we did them at a couple of different speeds. We  
10 did some cross control where we put a rudder in one  
11 direction and wheel it in the other direction at the  
12 same time dynamically.

13 We also did some combined control maneuvers  
14 where we put the rudder and wheel in at the same  
15 direction at the same time. We did that, I think, up  
16 to half wheel and half rudder. The combined rudder and  
17 wheel at the same time would become a very dynamic, it  
18 would exceed the roll rates that we'd like to see on  
19 the airplane.

20 MR. JACKY: Okay. And could you briefly talk  
21 about the type of data sets that were collected during  
22 these test?

23 THE WITNESS: In terms of parameters?

1 MR. JACKY: Yes.

2 THE WITNESS: We instrumented the U.S. Air  
3 737 that we used in the testing beyond what normally  
4 would be on that airplane for its required  
5 certification basis. We added, in particular, we made  
6 sure that we had both rudder pedal and rudder position  
7 column and elevator, which were already, the column was  
8 already on the airplane. We added elevator. And wheel  
9 and aileron were both instrumented.

10 We put a side slip pressure measurement on  
11 the airplane so we could get a measure of the side slip  
12 angle. It already had vane angle and the pitch roll  
13 and yaw were available. We put a special flight data  
14 recorder on the airplane which allowed us to measure  
15 the parameters more rapidly or more often than we  
16 normally would. We have a special FDR that Boeing had  
17 purchased for that test that allowed us to measure  
18 those things more often.

19 We also brought what's called a PAD system,  
20 and I'm not sure what the acronym stands for, but it's  
21 kind of a carry-on instrumentation package, which  
22 allowed us to measure the parameters even more often,  
23 up to like 23 times a second, and allowed us to pick up  
24 the roll rates and yaw rates, as well as the actual

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 position of the airplane. And those two systems  
2 together gave us some redundancy. If we had problems  
3 with either one, we would still be able to recover data  
4 from the flight test.

5 MR. JACKY: And were there any changes made  
6 to the CDR system?

7 THE WITNESS: The CDR -- I'm not terribly  
8 familiar with what was done there. Mr. Cash did have,  
9 I believe, a separate recording device in addition to  
10 the normal cockpit voice recorder on the airplane, so  
11 that they could record the entire flight. Whereas the  
12 normal cockpit voice recorder only picks up 30 minutes,  
13 our tests, of course, our flights were substantially  
14 longer than that.

15 MR. JACKY: And how many flights were  
16 attempted for this phase of the flight test?

17 THE WITNESS: We really tested only two for  
18 the simulator verification. Both were conducted in  
19 Seattle. We did just two tests.

20 MR. JACKY: And during those two flights, how  
21 many test conditions were attempted, approximately?

22 THE WITNESS: I believe we picked up  
23 something over 100 conditions, counting the side slips  
24 as separate conditions.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           MR. JACKY:   Okay.   And at least  
2   preliminarily, could you say that the objectives were  
3   met?   Did you collect the data that you were looking  
4   for?

5           THE WITNESS:   Yes.   We did have, we didn't  
6   have any problems with the testing or with the data  
7   collection.   I think we have a pretty complete set of  
8   data that we will be analyzing over the next several  
9   months.

10          MR. JACKY:   Okay.   Thank you.   I'd like to  
11   turn to the wake vortex portion of the flight test now.  
12   And if you could briefly describe for us what the  
13   objectives of that flight test was.

14          THE WITNESS:   Okay.   The testing that was  
15   done in the, with the wake, the primary objective was  
16   to obtain data that we could use in a simulator to  
17   calculate the position of the 737 relative to the wake  
18   in the U.S. Air accident.   The way we have introduced  
19   the wake into our simulator model required first that  
20   we make a, produce a wake model, a mathematical model  
21   of the wake that we could put into our simulators.

22          And also, simulators typically, at Boeing, at  
23   any rate, are point mass simulators.   So the simulation  
24   deals only with the center of gravity of the airplane

1 and calculates all the forces and moments about that  
2 point. In order to make the wake affect the airplane  
3 as it approached a wing, for example, we had to put  
4 together what we call a distributed lift model. We cut  
5 the wing into small slices, calculate the effects of  
6 the wake on the small slice, wherever it exists on the  
7 airplane, and then calculate the effect back at the  
8 center of gravity.

9 That model was put together for this accident  
10 investigation. And basically, we haven't had any data  
11 to verify that model. We also don't really have any  
12 data to verify the wake model prior to this Atlantic  
13 City test. So that was the primary purpose of that  
14 test, was to obtain data to support the verification of  
15 those two models. And the reason we want that data is,  
16 again, to go back to the U.S. Air 427 accident flight  
17 data recorder, and to try to determine from that data  
18 more precisely what happened to the flight controls  
19 during the course of that event.

20 One other objective, obviously, we did have a  
21 lot of CVR equipment on board, cockpit voice recorder.  
22 And the thought was that we might be able to find,  
23 identify some of the thumps and bumps from the 427 CVR  
24 and identify those.

1           MR. JACKY: Now, you mentioned using the  
2 information to further define what the cockpit controls  
3 were doing during the 427 accident sequence. Would  
4 that be by the use of the kinematic study?

5           THE WITNESS: That's correct, yes. We would  
6 use the kinematics of the airplane. We already have  
7 done that to define the motion of the airplane during  
8 the accident. And one step in that was to calculate  
9 the aerodynamic coefficients of the airplane in the  
10 presence of the wake. And that required that we locate  
11 the airplane relative to the wake.

12           And we do that with radar data, is the first  
13 step. But radar data is quite imprecise. It doesn't  
14 get you within the kind of precision that you need to  
15 really identify this. So this data will give us the  
16 precision. We had video cameras, as was mentioned  
17 yesterday, on the test airplane. We can locate very  
18 precisely the airplane relative to the wake.

19           You saw some video yesterday with the wake  
20 over different parts of the wing. And that will be  
21 our, one of our primary tasks, will be to go through  
22 that video data and precisely locate where the airplane  
23 is relative to the wake as we go through a test  
24 sequence. And with the extracted aerodynamic

1 coefficients out of that data, we'll be able to tell  
2 what the effect is as the wake transverses across the  
3 wing of the airplane or the vertical, whatever.

4 MR. JACKY: Okay. We've talked about the  
5 data collection on the 737. I'm wondering if you could  
6 describe for us some of the other sources of data that  
7 were available during the flight test in Atlantic City.

8 THE WITNESS: The other sources of data?

9 MR. JACKY: Yes, as far as weather, or --

10 THE WITNESS: Oh, okay. Yes, we did use, as  
11 again was mentioned yesterday with the airplanes that  
12 were involved included the OV-10 from NASA. It was,  
13 one of its prime objectives in the test to gather  
14 weather data for us, as well as to transverse the wake,  
15 and give us information relative to the shape of the  
16 wake and the velocity distribution through the wake.

17 In addition, we needed weather data in order  
18 to correlate with the Pittsburgh accident. And that  
19 was primarily to be obtained through weather balloons.  
20 There are several weather balloons that are used in the  
21 area for soundings. Unfortunately, the one at the  
22 Atlantic City airport closed down two weeks before we  
23 started testing, unbeknownst to us. But we did obtain  
24 data from the area that we will use to try and

1 determine how similar the atmospheric conditions were.

2 MR. JACKY: And what about on the 727, the  
3 vortex generating airplane?

4 THE WITNESS: We did have a flight data  
5 recorder set up on that airplane, or I guess they also  
6 had some separate instrumentation. And we will, we  
7 have received from that airplane the parameters that  
8 they recorded, so that we can identify speed and what-  
9 not of the lead airplane.

10 MR. JACKY: During the testing in Atlantic  
11 City, approximately how many flights were attempted,  
12 and during the flights, how many, well, let me ask you  
13 how many flights were attempted?

14 THE WITNESS: I believe there were eight  
15 flights attempted at Atlantic City. I think one was  
16 aborted for weather without getting any data. And at  
17 least one other we felt was not, there was no  
18 worthwhile data because of the weather, even though  
19 they took data. One other flight was specifically for  
20 the cockpit voice recorder with no cameras or data  
21 recorder from an aerodynamic standpoint. So basically  
22 I think it left six tests from which we thought we  
23 could possibly get reasonable data.

1 MR. JACKY: And out of these six remaining  
2 flights done, how many do you feel that you received  
3 reasonable data or good data from?

4 THE WITNESS: We took a total of 150 or  
5 about, a little over 150 test conditions that we felt,  
6 well, of that we felt about 120 were reasonable that we  
7 will actually reduce the data from.

8 MR. JACKY: Okay. You've brought along a  
9 videotape for us today. I was wondering if you need to  
10 set that up for us.

11 THE WITNESS: Yes.

12 MR. JACKY: Is that ready to go? Do we need  
13 to dim the lights? Please.

14 THE WITNESS: We have just a half dozen or so  
15 conditions here that we will view.

16 (Videotape played.)

17 THE WITNESS: The first condition that we're  
18 going to look at here is just the airplane flying. And  
19 this is the way we collected data that will be most  
20 useful in reducing the data. This is three miles  
21 behind the airplane, the lead airplane. And the pilots  
22 are just putting the left wing in the right wake of the  
23 727, and just trying to hold it there. You see we have  
24 an inset showing what the flight crew is doing to the

1 controls to hold the airplane in the wake.

2 And it was possible to fly in the wake with  
3 the wing tip or even the body centered in the wake,  
4 even though it took up to full control capability of  
5 the 737 to do that.

6 There is sound, but there isn't anything  
7 other than cockpit pilots discussion.

8 Second one is another condition that we did  
9 in, frequently, and that was to put the vertical tail  
10 in the right wake, or in one of the wakes, in this case  
11 the right wake. And that will give us the information  
12 that we need to determine what the aerodynamic effects  
13 of the vertical are. The camera gets a little fuzzy  
14 here as the wake hits the center camera. We get oil on  
15 the lens and it becomes difficult to see.

16 As he gets more and more into it, closer and  
17 closer to the body, it takes more and more wheel to  
18 hold the airplane into the wake.

19 This is also three miles behind the lead  
20 airplane.

21 Many of these conditions lasted for several  
22 minutes. We were able to hold the airplane into the  
23 wake for a long period of time. And we should be able  
24 to extract from that some very good aerodynamic data.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           MR. JACKY: Were these conditions repeated  
2 daily or at different distances and time, the 727?

3           THE WITNESS: We flew a set of data at, on  
4 different flights. We tried to repeat the same things  
5 again and again in each flight to get more and more  
6 data. This is just a crossing intercept. And now they  
7 have an inset of the airplane flying through the wake.  
8 The glare there is, that was a T33 that was used as a  
9 chase plane to photograph and inform the airplane of  
10 what was going on. They are photographing through the  
11 top of the cockpit, so they do get a glare on occasion.

12           There's another crossing intercept from  
13 below. In the last case, in this one, it's a free  
14 response. There is no attempt from the pilots to try  
15 and control the airplane once it enters the wake.

16           And that wasn't a particularly hard hit into  
17 the wake. There wasn't much bank angle that occurred  
18 that time. And it hit, it's very sensitive to how you  
19 approach the wake. If you hit it just right, you hit a  
20 very large input. If you just glance off it, and  
21 glance from, particularly from the left to the right,  
22 then you get a very minor upset.

23           You see the wake is not, as Mr. Carriker  
24 pointed out, is not just a rope in the sky. It moves

1 around quite a bit.

2           This is one of the more interesting ones, in  
3 that it got a pretty fair bank angle that occurred as  
4 he went through the wake. And that's primarily, it's a  
5 descending wake. And as he gets close, you'll see that  
6 the wake actually levels out a little bit due to the  
7 atmospheric conditions, and that as the airplane enters  
8 the wake, there's a flat spot. It's almost like flying  
9 into the end of a wake. And he stays in it longer  
10 because it is flat there, and gets one of the more  
11 dramatic encounters. He went up to a little over 60  
12 degrees of bank. I was sitting behind the pilot during  
13 that event.

14           That's all there is.

15           MR. JACKY: Do you have any observations  
16 about the behavior or characteristics of the wake?

17           THE WITNESS: Well, again, as was stated  
18 yesterday, the wake does move around a fair amount. We  
19 are still reducing data from the wake. I believe that  
20 the wake probably was closer together than we  
21 originally estimated. There are some rules of thumb  
22 that they used, that typically the wakes are about 80  
23 percent of the span of the lead airplane apart as they  
24 go on back. I think they were a little closer together

1 than that in this case.

2 We originally thought from the testing, some  
3 preliminary testing in Seattle, that they were quite  
4 close together, I think it was reported 40 feet. I  
5 don't think that's accurate. I think it's closer to  
6 70, probably. But we have some very good data both  
7 from the chase plane and from the vertical tail camera  
8 that most of those pictures were taken from that will  
9 allow us to determine the distance between the wakes  
10 for the various distances behind the airplane.

11 MR. JACKY: There was a lot of talk yesterday  
12 about the maximum amount of banking, upset or change  
13 that was seen while flying through the wake. In  
14 processing the data, would you have any assessment as  
15 far as what those maximum angles might be?

16 THE WITNESS: Well, certainly we from the  
17 data can determine what the bank angles were that we  
18 got to. I don't think that's particularly significant.  
19 The purpose here of doing the free responses through  
20 the wake was primarily to take out the aerodynamic  
21 effects of the controls. We wanted a free response  
22 through the wake so that we could get a good  
23 calculation of the aerodynamics of the airplane and the  
24 wake combined without the controls being applied.

1           As Mr. Carriker pointed out, we chastised him  
2 on occasion for using the rudder when we didn't want  
3 the rudder used. We wanted to have the pure  
4 aerodynamic effects. And that's the important part.  
5 We will be able to extract from these flight conditions  
6 the aerodynamic effect, coefficient of rolling moment,  
7 that we find as we go through these different wakes.

8           We do find in some preliminary work that  
9 there doesn't appear to be a lot of difference between  
10 two miles and four miles in terms of the peak rolling  
11 moments that we're seeing. The shape of the rolling  
12 moment versus time may well be different. And that may  
13 affect how much of a roll impulse the airplane is going  
14 to receive out of that wake. But the peaks seem to be  
15 pretty consistent.

16           It's also, of course, very apparent that if  
17 you fly through the middle of the wake, you're going to  
18 get a much larger input than if you just glance off the  
19 side of it.

20           And it was stated yesterday that the, as you  
21 fly into the wake, you tend to get spit out of the  
22 wake. I think that's a bit of a misconception. What  
23 really happens is, once the airplane banks 30 degrees,  
24 40 degrees, suddenly the lift vector of the airplane is

1 pointed out of the wake to the side.

2           It was stated yesterday, if you fly directly  
3 into the wake and just stay there, you can stay there.

4     If it's trying to push you up and out, you know,  
5 that's easily controlled. But the characteristic of  
6 the airplane as it banks right or left, it puts a big  
7 lift vector to the side. And that's really what pulls  
8 you out of the wake.

9           MR. JACKY: Okay. You mentioned processing  
10 the data. I was wondering if you could step us through  
11 some of the data processing that you accomplished while  
12 in Atlantic City.

13           THE WITNESS: Okay. We knew that we would  
14 like to have in Atlantic City as much information as we  
15 could relative to making sure that we had good data.  
16 It was a very tight test program. And we wanted to be  
17 certain that we were going to get good data and  
18 something that we could work with.

19           We did set up a computer wing that involved  
20 some pretty high tech computer equipment, much of which  
21 I know very little about. But my people were able to  
22 take a flight data recorder off the airplane, plug it  
23 into a device, I believe on the airplane, and download  
24 it into a cassette. We had basically a ground station

1 set up at the, in the offices at Atlantic City.

2 We take that tape, put it into this computer  
3 and get it into our ring and actually plot the data on  
4 line within about two hours after the flight, and also  
5 do the aerodynamic extraction of data at that point and  
6 calculate what the rolling moments, what we were  
7 seeing. Just mainly to ensure that we were able to  
8 assure ourselves that we had reasonable data.

9 MR. JACKY: Okay. And since you've returned  
10 to Seattle from Atlantic City, if you could step us  
11 through, please, what procedures you've been doing to  
12 process the data there.

13 THE WITNESS: Okay. The data as it comes  
14 out, either the flight data recorder or out of our PAD  
15 system, needs to be looked at. We do have data spikes  
16 that occur, electronic anomalies that occur. We clean  
17 all that up. We go through some conditioning where we  
18 look at the position errors that are known to be on air  
19 speed and altitude. Those are corrected so we get down  
20 to the real air speed of the airplane.

21 We have side slip pressures that are  
22 measured. We have to calibrate the delta pressure that  
23 we're measuring from right to left to get a side slip  
24 angle. We have vane angle, which gets turned into

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 actual wing angle attack. And we're pretty well  
2 through that process. We have of course documented and  
3 it is an exhibit, I believe, or some of the data is an  
4 exhibit from the flight test. That's -- and we're  
5 pretty well through that part of things at this point,  
6 ready to start with the extraction and comparison of  
7 the data to our simulator.

8 MR. JACKY: And I guess the next question  
9 would be, as far as where you are right now, in terms  
10 of the --

11 THE WITNESS: What we're doing at this point  
12 in time is primarily working with the simulator data to  
13 make sure that our simulation, basic simulation, is  
14 okay. We've taken perhaps 20 percent of the conditions  
15 that were flown and compared them directly to our  
16 simulator in something we call a proof of maps concept.  
17 We take the control inputs that were applied to the  
18 airplane, put those into our simulation, and compare  
19 the output of our simulator to the actual maneuver that  
20 the airplane was forced through by those same control  
21 inputs.

22 We do have some foils. And these, I believe,  
23 are taken out of exhibit -- did I have an exhibit  
24 number on that or not? Thirteen X-R. Put up foil 18.

1           CHAIRMAN HALL: This is Exhibit 13X-R. What  
2 page?

3           THE WITNESS: Page 18, it's the first one.

4           CHAIRMAN HALL: Thank you.

5           (Slide shown.)

6           THE WITNESS: There's a lot of information  
7 here, but to pass you through it very quickly, this was  
8 a maneuver that again, a bit of a maneuver that we  
9 hadn't flown before. It was one that Les Berven wanted  
10 us to add to our test plan. It starts off with a  
11 steady side slip at the far left.

12           At the far left side of the screen, we're in  
13 a steady side slip. We have basically put rudder in,  
14 we've got about 20 degrees of rudder. Let me run  
15 through the parameters just real quick here. The top  
16 is wheel angle, the pilot's putting in aileron, rudder  
17 pedal, rudder, bank angle of the airplane, the roll  
18 rate of the airplane, heading, yaw rate and side slip,  
19 and lateral acceleration in gees. Most of it's up on  
20 top.

21           At this point, we put full rudder pedal in.  
22 We're getting basically full rudder. And this is the  
23 190 knot case. It took, for this case, which is a side  
24 slip to the left, pretty nearly full wheel. Not quite,

1 but very close to full wheel, and that is basically the  
2 crossover point that was discussed yesterday.

3 At that point, the wheel was released. And  
4 gradually then the rudder was also taken out. And what  
5 we're doing is we're driving the rudder on the  
6 simulator and the wheel on the simulator to try, and  
7 then comparing the roll rate and what-not to see how  
8 closely they match. And that match is not perfect,  
9 obviously. We have about 3 degrees per second roll  
10 rate less on the simulator than what we had in the  
11 airplane.

12 And if you look up in that area, the  
13 simulator and the flight test airplane have a small  
14 discrepancy in terms of the amount of wheel it took to  
15 counter that amount of rudder.

16 Why don't you go to the next one, Rick. I  
17 believe it's page 20.

18 (Slide shown.)

19 THE WITNESS: This one is just a side slip in  
20 the other direction. In this case, we're doing the  
21 same thing. And it's pretty similar. It did take a  
22 fair amount less wheel in this side slip as the full --

23 CHAIRMAN HALL: Is this the next page, Mr.  
24 Kerrigan?

1 THE WITNESS: It's page 20.

2 CHAIRMAN HALL: Page 20.

3 THE WITNESS: It took a fair amount less  
4 wheel in this direction, and that was mentioned  
5 yesterday, that the airplane, or side slip right and  
6 left showed slightly different characteristics. But  
7 the dynamic match of the data, as we flew through the  
8 maneuver, is pretty reasonable. And that's what we'll  
9 be looking for.

10 Why don't you go on to the next one, Rick,  
11 which would be page 10.

12 (Slide shown.)

13 THE WITNESS: In this case, this is 170  
14 knots. And in this case, you can see that the  
15 simulator and the airplane show a fair amount of  
16 difference in terms of the steady side slip that was  
17 encountered.

18 On the other hand, the dynamics look pretty  
19 good once you release the wheel. This may indicate  
20 that we have some work to do on the simulator. And  
21 that's a decision that will be made once we do a fair  
22 amount more of this kind of comparison. We'll need to  
23 get the performance group together and decide whether  
24 we want to do an update to the simulation or whether we

1 feel we're close enough as we are.

2 Rick, go to page 28.

3 (Slide shown.)

4 THE WITNESS: This maneuver, this maneuver is  
5 -- okay. This maneuver is a rudder step. Basically it  
6 was flown by putting an amount of rudder trim in,  
7 holding the pedals fixed as the airplane was trimmed  
8 early on here. So we have rudder trim in that the  
9 pilot's holding the pedals centered, and then releasing  
10 the pedals, and that puts a fairly rapid rudder input  
11 into the system. This is the condition where we didn't  
12 want to go beyond the three-quarter of the rudder  
13 available at that point.

14 And again, you can see that roll rate and  
15 bank angle don't match exactly. And that's something  
16 that we may want to look at.

17 Okay, Rick, why don't you go to ~~the next~~  
18 slide. I don't know what the number is. Number 42.

19 (Slide shown.)

20 THE WITNESS: Okay, this is a full wheel  
21 response at 170 knots. Here we were trimmed up at this  
22 point. And basically the pilot puts full wheel into  
23 the airplane. And as you can see, the roll rate that  
24 comes out at that particular flight condition is about

1 21 degrees per second, which is fairly snappy. In this  
2 case, the simulator is over-predicting just a bit. And  
3 what we saw in the other case is that it was under-  
4 predicting just a bit. And that's again, we would be  
5 wanting to look at a number of these to determine  
6 whether there's something there that we need to account  
7 for.

8 I think that was all of the matching, is that  
9 right, Rick? Put it up there for just a second.

10 (Slide shown.)

11 THE WITNESS: No, we'll wait with that one.

12 At this point, we are continuing the effort  
13 to try and make these comparisons. We will be probably  
14 doing that for the next several months until we are  
15 satisfied that we can identify how well the simulator  
16 matches. We need to make a decision as to whether we  
17 want to go ahead and update our basic simulator model  
18 or whether it's sufficient.

19 MR. JACKY: If the decision is made, if the  
20 decision is made to change the simulator model, what  
21 would be involved in doing that?

22 THE WITNESS: Well, it's a very time-  
23 consuming exercise, as I mentioned, to do a full  
24 simulator update would be on the order of 12 man

1 months, or 9, yes, 9 man years. We would be looking at  
2 perhaps four man months to do this small portion of it.

3 So it obviously will impact the schedule, depending on  
4 that decision that we reach.

5 MR. JACKY: And approximately when do you  
6 believe that that decision would be made or would be  
7 ready to be made?

8 THE WITNESS: I would estimate that we would  
9 have enough data by the end of the year to make the  
10 decision as to whether we need to go ahead and do the  
11 update or not. I would hope that we could get  
12 together, the performance group, sometime in December,  
13 mid to late December, to make that decision.

14 MR. JACKY: And from the wake vortex test,  
15 have you made any sort of assessment as to the validity  
16 of the simulation of the vortices so far?

17 THE WITNESS: We're working on that. And  
18 yes, we have done some comparison work. That's a much  
19 more difficult task. Trying to fly the simulator  
20 through the exact same path as the airplane flew  
21 requires that we get into the video data that we took  
22 on the airplane. There's a considerable amount of work  
23 involved. I do have a couple of samples of what we're  
24 getting out right now.

1           Go ahead and put the next slide up, Rick.  
2 That's page 46 in the exhibit, same exhibit.

3           (Slide shown.)

4           THE WITNESS: This is a through a wake. It  
5 was a crossing wake with about a 2 degree intercept  
6 with the wake. And we're about three miles behind the  
7 727. We put a simulator wake strength of about 1400  
8 feet square per second. Their cores were estimated to  
9 be about 70 feet apart at this point, based from video  
10 footage and about a 4 foot diameter on the wake is  
11 again what came from the video.

12           We estimated a path from the video, and I'll  
13 show you in a minute roughly how those came together.  
14 This shows that the trends are typically there, but  
15 obviously, something isn't lined up quite right,  
16 whether it's a model difficulty or just that we're not  
17 quite in sync with the wake. We don't know at this  
18 point.

19           There are some -- put that up a bit, move it  
20 up so we can see the bottom. One of the things that we  
21 see in the wake that's very apparent, if you look at  
22 the side slip, that angle there, you see a very sharp  
23 break in the flight test data, and another break over  
24 here. And that's as the airplane, the nose of the

1 airplane, which is where the side slip is measured as  
2 you go through the wake, the side slip really isn't  
3 changing. But that's a local effect on the nose of the  
4 airplane. And you see a fairly sharp movement in the  
5 side slip angle.

6 Why don't you put the next slide up, Rick,  
7 real quick.

8 (Slide shown.)

9 THE WITNESS: The next one shows, page 47  
10 shows the longitudinal axis. And that's pretty, not  
11 too much to see except again -- why don't you move it  
12 up, slide it way up, Rick. Again, you can see the vane  
13 angle of attack being influenced by the wake locally,  
14 being shoved down rather dramatically. And then this  
15 is the point at which the airplane comes out of the  
16 wake again. Now, that's an effect that we're not  
17 trying to simulate, because it isn't important to the  
18 aerodynamics. But it's very, it's another indication  
19 that you have moved through a wake.

20 Go ahead to the next slide, Rick, 48.

21 (Slide shown.)

22 THE WITNESS: This just shows the kind of  
23 thing that we get into when we're trying to match this.  
24 It shows the path of the right wing tip and the left

1 wing tip of the airplane. This is the simulator as  
2 we're matching it, and then also the dashed lines are  
3 the wake, the position of the wake as we think it  
4 exists. We're flying through it on a fairly shallow  
5 intercept path. And the times there are basically so  
6 we can compare it to the next slide, which shows what  
7 we're getting out of the flight test.

8           Just put the next one up for a second.

9           (Slide shown.)

10          THE WITNESS: That's 49, I believe.

11          This shows the points here were actually  
12 measured from the video, to show where we think the  
13 airplane, or where the wake was, as the airplane flew  
14 by. And then the position of the wing tips, again,  
15 from the aircraft.

16          And trying to get the simulator to fly that  
17 exact same path, if the model isn't perfect, the  
18 simulator will try to fly off to the side, right or  
19 left or above or below. And that's the difficulty in  
20 trying to match this kind of data. And we're working  
21 real hard on trying to sort that out.

22          Go ahead to the next.

23          (Slide shown.)

1           THE WITNESS: This is 51. This is the one  
2 that we showed in the video. You see that the bank  
3 angle got to about 64 degrees during that maneuver.  
4 The simulator actually does a fairly, fairly decent job  
5 of getting to the same angle. The rates in the  
6 simulator are slightly higher than the rates on the  
7 airplane. You can see, as they talked about, they're  
8 putting wheel in as they enter the wake.

9           And then as they get to the wake, they put  
10 their hands up, as John Cox said yesterday. And they  
11 just let it be hands off until they start the recovery.  
12 And in this case, the airplane, as you can see, pretty  
13 well started its recovery by itself. The pilots didn't  
14 try to intercede until they were back to about 45  
15 degrees of bank. So the airplane just naturally has  
16 some tendency to recover.

17           Just slide that up. Again you can see the  
18 side slip takes a very sharp break there as you go  
19 through the wake.

20           Okay, go ahead to the next slide.

21           (Slide shown.)

22           THE WITNESS: This is number 50, I believe.  
23 And the only thing I wanted to show here is that there  
24 is a very sharp break apparent in the flight test air

1 speed indicator. And again, slide it up, Rick, as you  
2 go through the wake, you get a very sharp spike in the  
3 local angle of attack. And that actually took the vane  
4 up to where the stick shaker fired, I believe, on that  
5 one. We see some very sharp local changes to flow  
6 angles which will actually cause the stick shaker to  
7 fire.

8 That's fine.

9 MR. JACKY: Thank you.

10 So as of right now, do you believe that there  
11 will be some fine tuning of the simulator model?

12 THE WITNESS: I think that it's very likely  
13 that the simulator model may not have to be updated.  
14 The wake model may or may not. That's going to depend  
15 on the NASA data that we receive, as to whether we  
16 think we have to do something with that.

17 The distributed lift model is, if we want to  
18 get into the probabilities, I think, certainly isn't  
19 extremely remote. It's very probable that we will have  
20 to do something with that. This is the first time that  
21 we've had flight test data that we can actually compare  
22 to that model and make sure that we have something that  
23 we believe.

1           We also, in discussing with the gentleman  
2 from NASA who spoke yesterday, they've done some work  
3 with their 737-100, where they have been in the wind  
4 tunnel with wakes in the 737-100 model. Actually have  
5 done tailoff testing. So we should be able to get some  
6 of that data from them. And that could be very useful  
7 in helping us identify the parts of the model that  
8 aren't giving us a correct response.

9           MR. JACKY: So to that extent, do you believe  
10 that the flight tests were worthwhile?

11          THE WITNESS: Oh, yes, definitely. The data  
12 that we've taken on this testing I think is unique in  
13 the world. I don't think NASA's done any of this  
14 previously. If nothing else, I think there will  
15 probably be some doctorate theses that will be written  
16 across the country since this data is, I believe,  
17 basically available to the public. I think there will  
18 be a lot of work done with this data over the years.

19          MR. JACKY: Thank you. There was some  
20 discussion yesterday --

21          CHAIRMAN HALL: Mr. Jacky, are we through  
22 where we can get some lights now?

23          MR. JACKY: Yes.

1           CHAIRMAN HALL: And could we please get the  
2 cold air turned off up here? I've tried three times.  
3 I'm going to make a public plea this time.

4           (Laughter.)

5           CHAIRMAN HALL: Sorry, Tom, but I don't want  
6 to leave here with the flu.

7           MR. JACKY: Thank you. There was --  
8 yesterday there was some discussion regarding the  
9 apparent 2 degree difference in the rudder angle  
10 measured between the airplane used on the flight test  
11 and the same ruder that would be expected in the  
12 engineering simulator. I was wondering if you might  
13 give us a small explanation about that, please.

14          THE WITNESS: Okay. Yes, basically during  
15 the initial testing of the airplane, we do a certain  
16 amount of testing where we take the rudder out to blow-  
17 down. We don't spend a lot of time gathering that  
18 data. But a blow-down model is put together.  
19 Actually, the way it goes into the simulator is as  
20 hinge moments on the rudder. That data is, initially  
21 comes again from the wind tunnel. It's compared to  
22 flight test data where flight test data is available.  
23 And we don't always have a lot of data to support it.

1           We've gone back and looked at the data, the  
2 blow-down data in particular that was used to calculate  
3 the hinge moments. And included in that, the blow-down  
4 from this particular airplane. And it revised the  
5 hinge moment data to reflect that, and it put that into  
6 the simulator.

7           It may have been a hole in our data in the  
8 past where we didn't have anything at this specific  
9 flight condition and rudder angle, side slip angle. We  
10 still had some work to do on that. Right now, we've  
11 put hinge moment data in that will match what we saw in  
12 Atlantic City. That may not be the final answer. I  
13 don't know whether this airplane is a bit unusual or,  
14 in regard to blow-down, or whether that's consistent  
15 with past data. We have a fair amount of data to look  
16 at yet before we'll know that for certain.

17           MR. JACKY: So there's a possibility this  
18 just may be one unique airplane?

19           THE WITNESS: It's possible. When we get  
20 into the kinematic discussion, during that, what we  
21 extracted from the accident airplane actually showed,  
22 we were predicting a rudder required that was on the  
23 order of 21 degrees. And actually, this data tends to  
24 support that level of rudder available on the airplane.

1 Our simulator was showing more like 18 degrees, 19  
2 degrees at that point. So this actually falls in line  
3 with the data that we discussed back in May, during one  
4 of the all party meetings.

5 MR. JACKY: Okay.

6 THE WITNESS: So it tends to confirm the  
7 analysis that was done kinematically on the accident.

8 MR. JACKY: Would it then, could you make the  
9 assessment that it would give you more confidence in  
10 the kinematic data?

11 THE WITNESS: Well, it may give other people  
12 more confidence in the kinematics. I think we already  
13 had a fair amount of confidence in it. But, yes.

14 MR. JACKY: Have you made any sort of  
15 assessment as to whether or not this 2 degree rudder  
16 difference may be applicable to other series models of  
17 the 737?

18 THE WITNESS: Well, it certainly will be  
19 applicable to the 300, 400, 500 airplanes which are all  
20 basically identical in terms of the aft body and the  
21 vertical tail. The 737-100 and 200 is a separate  
22 simulation totally. There are differences between the  
23 airplanes and the aft body area. And of course, the  
24 calculation and prediction of the hinge moment data

1 from flight test data was done totally as a separate  
2 effort.

3           So I don't think that there's going to be  
4 necessarily any carryover between the 737-300, 400, 500  
5 and the 737-100 and 200. That's something that we can  
6 look at. But there's -- like I say, it's an  
7 independent effort to identify those hinge moments.

8           MR. JACKY: And there was some talk yesterday  
9 regarding the crossover point, in regards to lateral  
10 stability. What if any difference would there be in  
11 that crossover point due to an increase in the rudder  
12 angle?

13           THE WITNESS: Well, as was pointed out  
14 yesterday, I think in the simulator they felt that the  
15 crossover point was somewhat lower than what they saw  
16 in flight. It's curious that in doing a full rudder  
17 side slip right and a full rudder side slip left that  
18 there was, I think on the order of 10 knots difference  
19 in that crossover point.

20           I'm not sure that that's terribly  
21 significant. Crossover point is not a cliff. Nothing  
22 much happens in terms of sudden roll rates. If you're  
23 at a condition where you have full rudder and full  
24 wheel in, slightly above that speed you get a very slow

1 recovery of the airplane. If you're below it, you get  
2 a very slow deviation of the airplane. But from a  
3 balance standpoint, you are at a point where the  
4 lateral control balances the rudder.

5 I know we're concerned, discussed a lot of,  
6 in the past couple days, of rudder hardovers being  
7 difficult to control if the lateral control can't  
8 overpower it. On the other hand, below that speed, if  
9 you have a rudder hardover, it can be a difficulty. If  
10 you're above that speed, and have a lateral control  
11 hardover, you don't have enough rudder to overpower  
12 that.

13 So it's a balance that is there on the  
14 airplane. The two are pretty much balanced, the  
15 lateral to the directional control. There is certainly  
16 no way to make them balance throughout the flight  
17 envelope, so that one can always handle a hardover on  
18 the other axis.

19 MR. JACKY: I'm going to ask you to turn to  
20 Exhibit 13X-P. And the exhibit doesn't have page  
21 numbers on it, but it's the last page of the exhibit  
22 that I'm wishing to refer you to.

23 THE WITNESS: Okay, I have it.

1           MR. JACKY:   Okay.  I was wondering if you  
2 could explain this chart to us, please.

3           THE WITNESS:   Okay, we do have a foil of it,  
4 I believe, Rick.  That shows up really well.  We may  
5 have to dim the lights, though, for anybody to see it.

6           (Slide shown.)

7           THE WITNESS:   This is a comparison across the  
8 Boeing fleet of twin engine airplanes.  It shows the  
9 737-200, 300, 757, 767, 767ER and the 777.  This is  
10 just a comparison across airplane lines at 1.25 OEW and  
11 at the aft center gravity of the airplane.

12          MR. JACKY:   What is OEW, please?

13          THE WITNESS:   Yes, that's the operating empty  
14 weight.  Basically, this is a fairly lightweight  
15 airplane, in the, which would be not untypical of a  
16 landing approach situation.  And it shows that at this  
17 condition, which is somewhat lighter than the test  
18 airplane in Atlantic City, that the margins that the  
19 various airplanes have is not a lot different.  The  
20 737-300 at this point has about a 16 knot margin.

21                 And what we're talking about here is, this is  
22 all relative to the maneuvering speed that is  
23 recommended for the various airplanes.  For the 737-  
24 300, the maneuvering speed recommended is 190 knots.

1 And at this lightweight condition, the 737-300 with the  
2 hinge moment data from the Atlantic City test has about  
3 a 16 knot margin. So that says you get 16 knots below  
4 the maneuver speed at that weight before you would run  
5 out of lateral control.

6 And the reason for picking this, we had to  
7 pick a weight so we could do it across the airplane  
8 lines. And on the other airplanes, you can see that  
9 it's a little bit lower than some of the others, but  
10 it's not substantially different. It's within 10 knots  
11 of even the 767-200. And obviously, this margin on,  
12 goes down somewhat as the, as you get to the heavier  
13 weights.

14 We use 190 knots as a block speed on the 737.  
15 And that 190 knots, and as you get to the real light,  
16 or to the heavier weights, we'll give you less margin.  
17 And as we saw in the Atlantic City testing, we're  
18 getting pretty close to several knots, I think it was  
19 185 or thereabouts, where the crossover point was found  
20 on that airplane.

21 MR. JACKY: They aren't shown on this chart,  
22 but I was wondering if you could give us a comparison  
23 as to how the 400 and 500 would play on this chart?

1           THE WITNESS: I haven't, no, I really haven't  
2 looked at those specifically to know the answer to  
3 that.

4           MR. JACKY: Okay, thank you.

5           We touched briefly on the kinematic study  
6 that has been ongoing on this airplane, or on the  
7 accident. And we'd like to refer you to Exhibit 13X-D,  
8 please.

9           THE WITNESS: Okay.

10          MR. JACKY: I was wondering if you could,  
11 before we get into this, give us a refresher as far as  
12 what the kinematic study was and is.

13          THE WITNESS: Okay. The kinematics basically  
14 are just, we're talking about the physics of the  
15 situation as opposed to the specific aerodynamics.  
16 What we have done with the U.S. Air 427 data is  
17 calculate from that data, taking the known position  
18 errors for altitude and air speed, and we're also able  
19 to calculate the side slip angle and the angle of  
20 attack, we have pitch, roll and yaw from the flight  
21 data recorder, and from that we can derive the rates.

22          And also then we can calculate an aerodynamic  
23 coefficient that will cause the airplane to go through  
24 the oscillation that we saw on the accident airplane.

1 Basically, it's physics. We know the path of the  
2 airplane. We know where it started, we know where it  
3 ended up. And we can actually calculate the forces  
4 that we don't know that will drive the airplane through  
5 that path. So that's basically what we're doing with  
6 the kinematics.

7           If the situation is fairly simple in that  
8 there's a control problem, something fails on the  
9 airplane, you could calculate that aerodynamically  
10 pretty easily as to what was causing the incident. The  
11 difficulty here has been, we've been pretty certain for  
12 some time that this airplane went through the wake of a  
13 727. Since our Atlantic City testing, we're more  
14 certain than ever that it went through that wake.

15           That makes it more difficult to determine  
16 what the aerodynamic coefficients are that were applied  
17 to the airplane outside of that wake. Because we have  
18 to somehow account for the wake.

19           And that's really what we're looking to use  
20 this data for. As we get more and more information  
21 from the flight test, we hope to be able to locate the  
22 wake relative to the accident airplane much more  
23 closely. The kinematics study that's been done so far,  
24 we took the radar data from the airplane, from the 727

1 and 737, we know they were in the immediate proximity.  
2 We looked at basically the lift and the pitch that we  
3 were extracting from that data and used that to locate  
4 the wake relative to the airplane.

5 It would be -- we need some independent  
6 source that's not critical to the conclusion in order  
7 to locate that wake. And that was our attempt to do  
8 that. We used pitch and lift, which, you know, are not  
9 really a factor in the accident, to try and locate the  
10 wake so we could calculate a rolling moment and a  
11 yawing moment, which are critical to the cause of the  
12 accident.

13 And that's, to date that's been done and we  
14 came out in May with a time history of estimated wheel  
15 and estimated rudder position that reflected that kind  
16 of an approach. What we would like to be able to do,  
17 or what we hope to be able to do with the data that we  
18 have now is get an even more precise definition of the  
19 lift and the pitching moment that comes out of the wake  
20 encounters.

21 We have known wake encounters, we know where  
22 the wakes are. And with that, we'll be able to locate  
23 the wake from the 427 accident much more closely with  
24 regard to where the airplane was. And we will then

1 recalculate, using the kinematics, the resultant force  
2 in all axes that it takes to match that time history.

3           So we will generate out of this data a new  
4 time history, predicted time history, of the rudder  
5 pedal, or the rudder and of the control wheel.

6           MR. JACKY: And in the update that you  
7 presented in May, was there any change to the rudder  
8 time history?

9           THE WITNESS: From what we had seen  
10 previously, we've done that a couple times. I think  
11 the initial calculation that predicted a rudder  
12 basically didn't have a week in it. That was our first  
13 attempt. We said, this is the aerodynamic coefficients  
14 that we need. And in order to get a feel for how large  
15 they were, we put them in terms of an equivalent of  
16 wheel and rudder. And that gave us this time history  
17 of rudder. When we put the wake in, that time history  
18 changed fairly significantly. And in May, we had taken  
19 another cut at that and had a slightly more, hopefully  
20 precise, positioning of that wake. And that did change  
21 the character of the rudder time history.

22           The final position of the rudder, I think,  
23 was pretty much the same in all cases. But how fast it  
24 came in, the profile was changed somewhat.

1 MR. JACKY: Was the profile or the rate  
2 increased or decreased?

3 THE WITNESS: The rate I believe increased  
4 over what we had seen previously. And it went up to, I  
5 believe in the earlier studies it looked like the  
6 rudder had gone up to some intermediate value, back  
7 down and then back up again. I think in the May  
8 estimates, we felt it had gone up to a level, stayed  
9 there and then gone up a bit further to another level  
10 later in the event.

11 MR. JACKY: And have you made any sort of  
12 assessment from that time history as to what sort of  
13 input or, what sort of input would give you that type  
14 of rudder history?

15 THE WITNESS: Well, at this point, obviously  
16 it's within the capability of the system. The rudder  
17 can move at that rate. It's not a particularly fast  
18 rate. I don't recall what the rate was. And the  
19 pilot, pushing on the pedal, obviously, would cause the  
20 rudder to go in that fast.

21 At this point, we haven't determined any  
22 particular failure mode of the system that would cause  
23 that. Obviously, that's been something that  
24 everybody's been working on for 14 months, to try and

1 find something wrong with the rudder system that could  
2 cause this kind of an upset. And up to this point, we  
3 have not found any failure mode in the system that  
4 would cause this.

5 MR. JACKY: And from the simulator validation  
6 flight testing, and even from the wake vortex flight  
7 tests, do you see anything that would either, do you  
8 see anything that would make you believe that the time  
9 history or the final resultant kinematics output is  
10 going to change to a great extent?

11 THE WITNESS: That's something we really  
12 don't know at this point in time. I suspect that it  
13 will change. The distributed lift model that we used,  
14 as I said, has not ever been verified with flight test  
15 data. We're not able to do that.

16 Chances are that this will change somewhat.  
17 The wake model potentially will change. The simulator  
18 model, basic airplane, what we're seeing is that it's  
19 pretty reasonable. And we have to make a decision as  
20 to whether we think that's going to, the performance  
21 group will make the decision as to whether we think  
22 that will have a significant effect.

23 And what we need to do is update those models  
24 and then get into the kinematic, again, to try to

1 extract these coefficients. So it's premature to say  
2 that they're going to change, although I suspect that  
3 there will be some change, particularly in the lateral  
4 estimate, the wheel required. We know that the rudder  
5 required to sustain the maneuver is very near full  
6 rudder. That, I don't think, will change. But the  
7 time history of lateral control system inputs I think  
8 is the most likely to change.

9 MR. JACKY: Were you in attendance when Mr.  
10 Cash gave his presentation on Wednesday?

11 THE WITNESS: Yes, I was.

12 MR. JACKY: Are you familiar with the  
13 information he presented regarding the sounds resultant  
14 of side slip?

15 THE WITNESS: Yes. I listened to his  
16 presentation with interest.

17 MR. JACKY: Can you give any sort of  
18 assessment as to whether or not his information would  
19 verify or lend more credence to the kinematic study?

20 THE WITNESS: Well, certainly, it's an  
21 interesting point. We had been wondering, of course,  
22 what had caused the engine sound to change. During the  
23 testing, I was suspicious of the actual engine  
24 swallowing a wake as being perhaps the cause of that.

1 Because there was a distinct sound change during that  
2 event. However, it appeared that Mr. Cash had pretty  
3 good correlation with side slip. So that's perhaps  
4 more likely the cause of that change in sound.

5 Yes, it would be very interesting to see  
6 what, how that correlates with the side slip that we  
7 have calculated kinematically. It should be very  
8 interesting.

9 MR. JACKY: The updated kinematic study data  
10 was used in a simulator session at NASA-Ames in July.  
11 I was wondering if you could briefly describe what were  
12 the objectives of that test and how that was  
13 accomplished.

14 THE WITNESS: Okay. Yes, we had actually set  
15 up a simulator session in Seattle using our M-CAB to  
16 demonstrate to a number of pilots what the crew of U.S.  
17 Air 427 had experienced, as closely as we could. The  
18 experiment basically was to take the flight data  
19 recorder from 427 to calculate the rates and  
20 accelerations that the aircraft went through,  
21 particularly during the early part of the upset.

22 What we were trying to determine, primarily,  
23 was if there were any sounds associated with that,  
24 well, let me back up. What we did is we correlated the

1 flight data recorder with the cockpit voice recorder.  
2 We synchronized the two.

3           And we actually received permission to use  
4 the actual CVR, the actual cockpit voice recorder.  
5 That was played over headsets with the, into the pilots  
6 who were participating in the experiment, so they could  
7 actually hear the cockpit voice recorder as the  
8 simulator motion and visual system was being driven to  
9 the flight data recorder information.

10           So they were able to hear and feel and see  
11 basically the same cues that the crew of U.S. Air 427  
12 was experiencing. And the primary purpose of that was  
13 to try and determine if there were any, if they would  
14 be able to determine what the noises were that we had  
15 heard in the cockpit, or on the cockpit voice recorder.

16           And whether there were any cues that might indicate to  
17 them whether or not there was any reason to put in  
18 rudder. That was another aspect of it.

19           And as we got into the M-CAB, which has a  
20 very limited motion system, we found that, or we felt  
21 that we would be better off going to the NASA simulator  
22 where we had, as Mike pointed out yesterday, plus or  
23 minus 30 feet or thereabouts, both vertically and  
24 horizontally, so that we could do a better job,

1 hopefully, of matching the accelerations. So that was  
2 the intent of it.

3 And we basically didn't find any, the pilots  
4 could not identify sounds, the thumps and the clicks,  
5 based on what they experienced. And I think we know  
6 the reason why now, because it is pretty apparent that  
7 the wake was what was causing these things, and we were  
8 not, had no way of simulating that at the time.

9 MR. JACKY: And as far as engineering or the  
10 ability to put the kinematic information in the  
11 simulator, do you feel that it was a valid session?

12 THE WITNESS: Yes, I think so. Mike  
13 mentioned there were some differences between the two,  
14 and that I guess is understandable. We were able to  
15 reproduce the accelerations, the small movements, up to  
16 a certain point in time in the time history very  
17 accurately.

18 Obviously, as you get into the, start pulling  
19 load a factor of more than a quarter or half a gee, the  
20 simulator is no longer able to do that. But up to that  
21 point, we thought we were getting a pretty reasonable  
22 representation.

23 MR. JACKY: Okay. And was the cockpit that  
24 was laid out in the simulator cab, was that identical

1 to a 737 or were there differences?

2 THE WITNESS: Well, the M-CAB is pretty  
3 similar. It has got a lot of the common instruments.  
4 The cab that was present in the NASA vertical  
5 simulator, vertical motion simulator, was quite  
6 different. It's primarily a research vehicle and  
7 didn't really bear any resemblance to a 737.

8 MR. JACKY: One last topic I wanted to touch  
9 with you is the CDR team and their report. Did you  
10 have the opportunity to provide any assistance or did  
11 they ask you to provide assistance to that effort?

12 THE WITNESS: To the CDR?

13 MR. JACKY: I'm sorry, to the critical design  
14 review team.

15 THE WITNESS: Oh, okay. Yes. One of the  
16 engineers that was working for me on the accident early  
17 on was, has been working on the CDR later on, not under  
18 my direction. But he has participated in that  
19 evaluation.

20 Early on in the CDR, I participated briefly  
21 in helping them set up simulator sessions to evaluate  
22 some of the failures that were of interest to them.  
23 Basically we did a number of scenarios which included  
24 rudder and aileron trim runaways posed by the

1 autopilot, lateral versus directional control power,  
2 including maximum rudder deflection. We did flight  
3 with zero and one half aileron rudder fuel force,  
4 controlled through the aileron transfer mechanism where  
5 the ailerons jammed at one half and full deflection,  
6 flight with one or two flight spoilers stuck up on the  
7 same side, and flight with a number two slat retracted  
8 and flaps extended to 1, 5, 15, 25 and 40 combined with  
9 a maximum flap asymmetry between 15 and 25.

10           And for the most part, I think that session  
11 satisfied the CDR team with regard to most of those  
12 items, so they did not become a part of the final  
13 recommendations. There were perhaps a couple that did.

14       And we did then participate through one of my  
15 engineers in answering the recommendations, several of  
16 the recommendations that were made by the CDR team.

17           MR. JACKY: And one final, final point. Have  
18 you had any participation in the original certification  
19 in the 737 airplane?

20           THE WITNESS: I was, I've been on the 737  
21 since before it became certified, back before first  
22 flight. Some of us are old enough to go back that far,  
23 even though the FAA doesn't have anybody that old, I  
24 guess, any more.

1           However, I was a very young engineer at that  
2 point in time, so I didn't get a whole lot of input  
3 into decisions that were made. But I did fly in the  
4 airplane a number of times.

5           MR. JACKY: And during that certification,  
6 were you aware of any sort of flight tests done at full  
7 rudder input?

8           THE WITNESS: Well, during the certification,  
9 I've gone back and reviewed some of the flight testing  
10 that was accomplished on the airplane. We did steady  
11 side slips for certification, primarily during the 100  
12 and 200, I think it was primarily at the landing flaps.  
13 And there it was obvious that there was plenty of  
14 lateral control for full rudder.

15           During the 737-300 certification, which I  
16 also participated in, it was obvious that, again they  
17 did considerably more steady side slip testing at that  
18 point in time. Flaps 1 was flown both at 1.2V stall  
19 and at VFE. At VFE there is obviously plenty of  
20 lateral control. At 1.2V stall there is not enough  
21 lateral control to hold full rudder. And that was the  
22 certification testing done on that 737-300. That was  
23 true at both flaps 1 and flaps 5.

1           MR. JACKY: And was there any sort of flight  
2 test done to show the controllability of the airplane  
3 with a rudder hardover or rudder jam in the full or  
4 maximum position?

5           THE WITNESS: Well, not in terms of,  
6 certainly not in terms of the dynamic. That was not a  
7 requirement. Basically, it still isn't a requirement.  
8 There is no requirement in the FARs that requires you  
9 to demonstrate a rudder hardover. Basically the rudder  
10 system is considered to be a primary flight control  
11 system and the probability of that causing a hardover  
12 is deemed to be extremely remote.

13          MR. JACKY: And do you have any opinion as to  
14 that certification basis?

15          THE WITNESS: In terms of whether that's  
16 sufficient? I believe that it is, yes. I think that  
17 as Mr. Berven pointed out, we need to consider that  
18 these control surfaces are, their primary control of  
19 the airplane, the pilot has to have the authority  
20 through the control system to cover anything that's  
21 going to happen to the airplane. And if you start  
22 limiting it, you become, it becomes difficult to do his  
23 job when he gets an engine out or some other failure  
24 that the system is designed to handle.

1           So I think that what we have is sufficient.

2           MR. JACKY: I have no further questions, Mr.  
3 Chairman.

4           CHAIRMAN HALL: Any other questions?  
5 Questions from the technical panel?

6           MR. HAUETER: Just a couple.

7           One question I have, sir, is on the kinematic  
8 study, when do you anticipate that the next iteration  
9 could be completed, based on the data we have?

10          THE WITNESS: We're -- I have put together a  
11 rough schedule. I anticipate that probably the end of  
12 the first quarter next year, end of March, perhaps.

13          MR. HAUETER: Okay.

14          THE WITNESS: And that, at this point, I hope  
15 to have it documented at that juncture. So we'll have  
16 some preliminary looks at it ahead of that.

17          MR. HAUETER: Okay. And secondly, during  
18 your testimony, you mentioned that at the crossover  
19 point with lateral directional control, there was a  
20 slow recovery, you kind of indicated a benign maneuver  
21 compared to, say, Mr. Berven's testimony of a dynamic  
22 input in terms of being --

23          THE WITNESS: Well, again, if you suddenly  
24 step on the rudder pedal and wait four or five seconds

1 before you do anything, it will be quite dynamic. And  
2 again, if it gets over pretty far before you put any  
3 wheel in to counter it, it will be pretty dynamic.

4 I'm just pointing out that the, if you put in  
5 a full rudder input at, in an area where it takes 90  
6 percent of lateral control to control the airplane,  
7 that's not going to be a lot different than an area  
8 where it takes 110 percent lateral to control the full  
9 rudder input. I'm just saying, those two maneuvers  
10 aren't terribly different. It doesn't suddenly become  
11 much more dramatic from an upset standpoint.

12 The upset is about the same. You grant it  
13 when you put in the wheel, in one case, the wheels stop  
14 the roll rate pretty much and it will continue slowly  
15 on, and in the other case, it may continue slowly back.

16 But it's, I don't see a clip there is all I'm really  
17 saying.

18 MR. HAUETER: Okay, thank you very much.

19 CHAIRMAN HALL: Other questions from the  
20 technical panel?

21 (No response.)

22 CHAIRMAN HALL: Well, Mr. Kerrigan, if you  
23 happen to remember the names of any of the FAA people  
24 you worked with --

1 (Laughter.)

2 CHAIRMAN HALL: -- Mr. Donner would probably  
3 like to have some of those.

4 THE WITNESS: Well, one name, I was  
5 surprised, because I think Earl Chester still works in  
6 the Seattle office. And he was there during the  
7 certification of the 737, I believe.

8 MR. DONNER: And I believe you're correct.

9 CHAIRMAN HALL: Well, we will have to look at  
10 this incorrect testimony that's been presented by them.

11 (Laughter.)

12 MR. DONNER: I'd like to correct the record  
13 and assure the Chairman that the FAA has lots of old  
14 people.

15 (Laughter.)

16 CHAIRMAN HALL: That's apparent to the  
17 Chairman, Mr. Donner.

18 (Laughter.)

19 CHAIRMAN HALL: We have been joined by the  
20 distinguished former Chairman of the National  
21 Transportation Safety Board, Mr. Carl Vogt is in the  
22 back of the room. There's nothing more distinguished  
23 than a Chairman of the National Transportation Safety  
24 Board, so I want to be sure and welcome Carl. And

1 **Carl**, of course, was with the Board at the time of this  
2 accident and was the member on scene.

3 The technical panel has advanced us now an  
4 hour and 15 minutes, well, no, an hour and 45 minutes.

5 So we will, before we go to the questions of the  
6 parties, we will take a break and return and start  
7 promptly at 10:30.

8 (Whereupon, a recess was taken.)

9 CHAIRMAN HALL: We will reconvene this board  
10 of inquiry, and Mr. Kerrigan has returned to his  
11 position. And we will ask if any of the parties have  
12 questions for this witness.

13 I see the hand of the Air Line Pilots  
14 Association. Any other parties have questions for this  
15 witness? If not, Captain, please proceed.

16 CAPTAIN LEGROW: Thank you, Mr. Chairman.

17 Good morning, Mr. Kerrigan.

18 THE WITNESS: Good morning.

19 CAPTAIN LEGROW: Just a couple of questions.

20 You were talking about rudder hardovers and then you  
21 made some reference to lateral hardovers. I wonder if  
22 you could just elaborate a little bit on exactly what  
23 would be considered a lateral hardover, or how you  
24 could get a lateral hardover?

1           THE WITNESS: I don't know exactly what would  
2 cause one in either the directional or the lateral  
3 axes. But if you are going to look at a hardover in  
4 one, why not look in the other. A jam obviously, if a  
5 pilot puts in full wheel and it jams, or he puts in  
6 full rudder and it jams, could result in a full control  
7 input, whether it's a probable or extremely improbable  
8 event is a point of discussion, I guess.

9           CAPTAIN LEGROW: But isn't there redundancy  
10 in the lateral control?

11          THE WITNESS: There is some redundancy,  
12 depending on where the jam occurs. But again, it's  
13 very dynamic, if it were to occur.

14          CAPTAIN LEGROW: You were discussing some of  
15 the tests that were done in Atlantic City. And we're  
16 talking about a crossover point. And I believe you  
17 testified, and Mr. Carriker testified, as did Captain  
18 Cox, that during the flight test that was somewhere,  
19 something under 190 knots was 1 degree flap. Would you  
20 agree with that?

21          THE WITNESS: That's my understanding, yes.

22          CAPTAIN LEGROW: If I could refer you to  
23 Exhibit 13X-P, please. And it will be the last page.

1 THE WITNESS: Yes, sir.

2 (Slide shown.)

3 CAPTAIN LEGROW: On your graph that you  
4 showed us, you showed for the 737-300 maneuvering speed  
5 plus 16 knots, or less 16 knots, is that correct?

6 THE WITNESS: Yes, at that weight, that's  
7 correct.

8 CAPTAIN LEGROW: Okay. Well, my  
9 understanding, the Atlantic City airplane, or the  
10 airplane used for the testing in Atlantic City, closely  
11 replicated the accident airplane. Would that be a true  
12 statement?

13 THE WITNESS: That's true, in terms of weight  
14 and CG, that's correct.

15 CAPTAIN LEGROW: Weight and CG. Well, I just  
16 don't understand, with the difference between the 5  
17 knots that Mr. Carriker and Captain Cox testified and  
18 that you agreed to and the 16 knots that you show on  
19 this balance sheet, I guess it's called --

20 THE WITNESS: Well, again, this balance sheet  
21 was put at a specific weight relative to the operating  
22 empty weight of the airplane, so that we could get a  
23 comparison across airplane lines. In other words, it's  
24 done at 1.25 OEW, which is a landing weight that's

1 typically used for these kinds of comparisons.

2           This was done a while ago. It wasn't done as  
3 a direct result of what we're talking about here, it  
4 wasn't prepared for this accident or this meeting,  
5 rather.

6           CAPTAIN LEGROW: So this was done prior to  
7 the test in Atlantic City, then?

8           THE WITNESS: I don't know if it was done  
9 prior to that or not. That has been updated for the  
10 rudder data that we took in Atlantic City. The 16  
11 knots is indicative of the rudder blow-down that we saw  
12 in Atlantic City.

13           CAPTAIN LEGROW: Okay, so this would  
14 represent, to put it in some lay terms, a nearly empty  
15 airplane, without --

16           THE WITNESS: It's a, well, it's got 25  
17 percent of the weight over and above the operating  
18 empty weight.

19           CHAIRMAN HALL: Excuse me, are you having  
20 difficulty in hearing in the back? That speaker is  
21 maybe out. Okay, if you could please try to speak  
22 closer to the microphones. We have people having  
23 difficulty hearing. Thank you.

1           Please proceed, Captain.

2           CAPTAIN LEGROW: Thank you, Mr. Chairman.

3           How would this 1.25 OEW compare to the  
4 accident airplane?

5           THE WITNESS: It is quite a bit lighter than  
6 the accident airplane. The accident airplane was kind  
7 of in the middle of the weight range for landing.

8           CAPTAIN LEGROW: About 110,000 pounds or  
9 something?

10          THE WITNESS: Yes, I think it was 108,000 or  
11 something.

12          CAPTAIN LEGROW: This would be something,  
13 what?

14          THE WITNESS: This is quite a bit lighter, I  
15 don't --

16          CAPTAIN LEGROW: Eighty-five thousand?

17          THE WITNESS: Yes, maybe 85,000, 90,000,  
18 something like that.

19          CAPTAIN LEGROW: During the wake vortices  
20 tests in Atlantic City, I assume that you rode in the  
21 cockpit for some of these tests?

22          THE WITNESS: I was present in the cockpit  
23 for one of the tests, yes.

1           CAPTAIN LEGROW:   In your estimation, what  
2 would you estimate the core, the diameter of the core  
3 of the wake vortex?

4           THE WITNESS:   I really haven't -- the view  
5 that you have out the cockpit is not real good for  
6 doing that.   I didn't try to estimate the core.   One of  
7 my engineers looked at the movies that we had taken,  
8 the videos that were taken, and estimated that in one  
9 of these conditions we looked at, it was about four  
10 feet diameter.

11          CAPTAIN LEGROW:   I think that would probably  
12 be the consensus from what we saw.   I'd like to refer  
13 you to the kinematic study.   That would be Exhibit  
14 13X-D.   And you said in your testimony that you had a  
15 great deal of confidence, or you had confidence in this  
16 document?

17          THE WITNESS:   Well, what I have confidence in  
18 is the methodology that we used to calculate, to go  
19 through and calculate these data.   It obviously, the  
20 models that we are using as part of the extraction we  
21 hope to gain more confidence in that as a result of the  
22 Atlantic City testing.

23          CAPTAIN LEGROW:   Okay.   I refer you to page 6  
24 of that document, please.

1 THE WITNESS: Okay.

2 CAPTAIN LEGROW: About two-thirds of the way  
3 down, and it defines the weight vortex used for the  
4 study. And the second would be the diameter. so you  
5 would agree that this is about four times greater than  
6 what --

7 THE WITNESS: Well, if you look at the  
8 paragraph immediately above, it says that we varied the  
9 diameter from a radius of, for a diameter of 4 feet to  
10 16 feet during the evaluation that we did. And  
11 basically, in terms of the effect of the wake on the  
12 airplane model, we didn't see a lot of difference  
13 between 4 feet and 16 feet.

14 And a lot of the data that we ran was run at  
15 four feet during the evaluation. That doesn't appear to  
16 be a particularly strong influence. And basically,  
17 what we're seeing in the wake testing is a diameter of  
18 the smoke entrained in the flow. The flow field that  
19 surrounds that wake is much larger than that. As you  
20 put a wing tip, as you get, you know, 10 feet away from  
21 that, I would assume that you would start to feel the  
22 influence of that wake. You don't have to put the tip  
23 right in it before you feel, I think Captain Cox can  
24 confirm that.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           CAPTAIN LEGROW:   Okay, I'd like to refer you  
2 to page 19 of the same document.

3           THE WITNESS:   Okay.

4           CAPTAIN LEGROW:   And do you believe that this  
5 represents what you would find, from time 132 to time  
6 141 is approximately 9 seconds.  And I think Captain  
7 Cox and Mr. Carriker testified yesterday that they felt  
8 it was something on the order of two or three seconds.

9           THE WITNESS:   Two or three seconds in the  
10 Atlantic City test data?

11          CAPTAIN LEROW:   Yes, sir.

12          THE WITNESS:   Again, if you recall the videos  
13 that we've looked at, wakes can snake all over the sky.  
14 And if it has a shape that puts you in it for two or  
15 three seconds, as we experienced quite often in the  
16 testing, that's going to do something to the airplane.  
17 If it happens to be in, have a turn in it as you fly  
18 into it, and that's tracking the airplane, you could be  
19 in it for considerably longer than that.

20                 This slide that you're talking about, it  
21 shows the airplane actually entering the influence of  
22 the wake, approaching it, and being into it for perhaps  
23 four or five seconds.  And that represents basically a  
24 simulator run that we've made through this data set,

1 where it's approaching the simulated wake and flying  
2 through it fairly, you know, in a physically correct  
3 manner, and still, like you say, staying in it for more  
4 like four or five seconds.

5 CAPTAIN LEGROW: But again, this is before  
6 the data from Atlantic City was gathered, is that  
7 correct?

8 THE WITNESS: That's correct. What we will  
9 do, hopefully, is be able to refine this association  
10 between the airplane and the wake. The positioning is  
11 something that we hope to be more precise on, yes.

12 CAPTAIN LEGROW: I have one other question.  
13 Like you, I've been around this business for 30 years  
14 or so and remember the initial testing. But in your  
15 opinion, with your vast experience in this business,  
16 and doing accident investigations, do you feel the  
17 expanded flight data recorders would be helpful in  
18 accident investigation?

19 THE WITNESS: I don't think there's any  
20 question about that. Obviously, in accident  
21 investigations where we've had flight data recorders  
22 with a lot of parameters on them, we have been able to  
23 reach conclusions much more quickly and much more  
24 rapidly.

1           And I think even more important, perhaps than  
2 in accident investigation, is incident investigation,  
3 to be able to understand precisely what happened in an  
4 incident. We may be able to prevent an accident from  
5 happening later on. So I think it's very important  
6 that we have as many parameters as we can get.

7           Obviously, as an engineer, they won't let me  
8 have as many as I want. But we'll hopefully get an  
9 increased number.

10           CAPTAIN LEGROW: We're faced with the same  
11 thing. Thank you. I have no further questions.

12           CHAIRMAN HALL: Thank you, Captain.

13           Any other questions from the parties?

14           (No response.)

15           CHAIRMAN HALL: If not, we'll move to the  
16 front table. Mr. Clark?

17           MR. CLARK: In the, we've had two  
18 presentations on the kinematic studies done by Mr.  
19 Dellicker. And in one we had a rudder that could move  
20 somewhat slower and then another one that the rates  
21 were greater. Is it fair to characterize that the, in  
22 the slower rates, we were looking at deflections to the  
23 blow-down limit in four to five seconds? Is that --

1           THE WITNESS: That's something that I'd have  
2 to look back at it. But that's on the order, the  
3 correct order, I think.

4           MR. CLARK: We can pull the record out, if we  
5 need. But in that order.

6           THE WITNESS: Yes.

7           MR. CLARK: And certainly the graphs speak  
8 for themselves.

9           And then in the faster rate, we were looking  
10 at step inputs up into the 12 degree range in about a  
11 half a second, at least according to the charts?

12          THE WITNESS: Yes, I believe that's correct.

13          MR. CLARK: So there's a very distinct  
14 difference in rudder rates that can be, that can cause  
15 a match of the FDR data from Pittsburgh?

16          THE WITNESS: Right. And that primarily is  
17 the positioning of the wake and with respect to the  
18 airplane, that causes those differences.

19          MR. CLARK: And would that open up the  
20 portion of the investigation that deals with potential  
21 failure modes, for examples, having any kind of failure  
22 mode that may be limited to a slow rudder rate versus a  
23 wide open rudder rate?

1           THE WITNESS: Yes, in terms of, failures that  
2 could cause a particular rate, it may open it up  
3 somewhat. Now, obviously --

4           MR. CLARK: I'm not trying to put you on the  
5 spot as a rudder expert. But from the aerodynamic  
6 standpoint, you're comfortable enough with the numbers  
7 that there's a distinct difference between the two  
8 rates?

9           THE WITNESS: Well, there definitely is. And  
10 again, what we hope will come out of this evaluation is  
11 another curve which we will have even more confidence  
12 in. We obviously felt that what we presented in May  
13 was a step beyond what we had previously. And  
14 hopefully, this will be one step beyond that, now that  
15 we have the data to support it.

16          MR. CLARK: In your examination of the data  
17 to date for the, from the vortex tests, is there any  
18 evidence that the vortex flow field caused movements of  
19 the rudder directly?

20          THE WITNESS: No, I've looked at the data  
21 that we took. A lot of the cases that we ran,  
22 particularly with the fin in the wake, were mostly yaw  
23 damper on. So we definitely had motion of the rudder  
24 to the yaw damper limits.

1           We didn't see any motion beyond that, if the  
2 pilots were not moving the pedals. In those cases,  
3 where we're just flying through the wake, there is  
4 very, no perceptible, or no significant movement of the  
5 rudder in any of those cases. You may be able to see  
6 it move, side slip variation and compliance in the  
7 system will cause very small motions. But it's down in  
8 the tenths of a degree, if that large. I haven't  
9 looked at anything on a scale large enough to really  
10 identify if there is a magnitude there or not.

11           MR. CLARK: Okay. Is there, in your  
12 estimation, any way to calculate the forces on the tail  
13 and specifically on the rudder to see if the vortex  
14 flow field may be approaching the hinge moment limits  
15 of the rudder system?

16           THE WITNESS: The hinge moment limits of the  
17 rudder system?

18           MR. CLARK: Well, the rudder, the PCU can  
19 resist certain levels of hinge moments, when the  
20 rudders deflect, we're talking about the blow-down  
21 limit, the aerodynamic forces balance the hinge  
22 moments.

23           THE WITNESS: Yes.

1           MR. CLARK: Can you back out any of the flow  
2 field data from a vortex encounter directly on the  
3 rudder or on the vertical fin and make estimate of how  
4 close we are to approaching those hinge moment limits?

5           THE WITNESS: I think that that probably is a  
6 possibility. I hadn't thought about that. But looking  
7 at the data where we ran with the yaw damper off, if  
8 you can see a motion at all of the rudder system, we  
9 know what the compliance of the rudder structure is in  
10 that area. So it may be possible to calculate what  
11 force is being applied to the rudder.

12           In terms of approaching any kind of limits,  
13 obviously if it was getting, what you would see if the  
14 forces being applied to the rudder were very large, you  
15 would see some, quite a bit of motion of the rudder  
16 compliance, and the rudder, when you get up near full  
17 rudder throws, the compliance is worth 1 or 2 degrees  
18 of rudder. I mean, as you slow down or speed up, you  
19 can see a pretty substantial bending of the components  
20 of the rudder in that area.

21           So I would, you know, if you're getting up  
22 anywhere near significant loads on the rudder, you  
23 would see some motion, considerable motion. But we  
24 should be able to estimate that. I think that's a

1 possibility.

2 MR. CLARK: Okay. The, can you give us an  
3 overview of future simulator tests that you anticipate?

4 I know we've kind of bounced around various subjects,  
5 such as the kinematic studies, your background studies,  
6 background models, M-CAB, VMS.

7 THE WITNESS: Yes, I'm not sure whether, we  
8 certainly are going to be doing a lot of work on the  
9 simulator, and we may want to get into pilot  
10 evaluations again once we have updated all the models.

11 As to whether we go back into like the NASA-Ames  
12 simulator, basically what we did with the NASA-Ames  
13 simulator is we did a backdrive of that through the  
14 flight data recorder from 427. That hasn't changed at  
15 all. The cockpit voice recorder obviously hasn't  
16 changed.

17 The only thing that would potentially change  
18 in that kind of an exercise is that the control inputs  
19 that we estimate based on the location of the wake  
20 relative to the airplane may change. If we decide that  
21 that is, that it's necessary to go back and evaluate  
22 those control inputs in that atmosphere, you know, we  
23 certainly can do that. I'm not sure that it would be  
24 necessary to do it.

1 I think it might, if we were going to do  
2 that, we might just want to go ahead and do it in the  
3 M-CAB. I'm not sure that NASA-Ames would give us a lot  
4 more information.

5 MR. CLARK: Okay. My understanding is that  
6 the roll response of the airplane changes significantly  
7 between a flat 1 and a flap 5 configuration. Is that  
8 true?

9 THE WITNESS: Between flaps 1 and 5? I don't  
10 think that there's a large difference between those  
11 two. By the time you get the landing flaps, you're  
12 generating a lot more lift with the flap systems. And  
13 when you put the spoilers up through the lateral  
14 control, you get a very substantial difference.

15 There certainly is a difference between flaps  
16 1 and flaps 5, but I don't believe that I would call it  
17 all that substantial.

18 MR. CLARK: How does the crossover point  
19 change between those two configurations?

20 THE WITNESS: I haven't really evaluated  
21 flaps 5 other than to, we know that there is a, if you  
22 get to very low speeds, the lateral control system  
23 won't handle it. But I haven't really, we haven't done  
24 nearly as much investigating of that as we have flaps

1 1.

2 MR. CLARK: Okay. There were some earlier  
3 questions on the effect of the core diameter. And I  
4 guess, is it your understanding that basically the core  
5 diameter is not the issue, but in fact the entire flow  
6 field, the entire energy of the --

7 THE WITNESS: Right. There was some, we  
8 talked to the experts that we have in the Boeing  
9 Company relative to the wakes. And we had two of them,  
10 they had quite different opinions as to what the  
11 diameter of a wake really was. And basically one of  
12 them said 4 feet and one said 16.

13 So we looked at both. And we really, in  
14 terms of the effect on the airplane, couldn't see a  
15 large difference between those. It really didn't seem  
16 to make a tremendous difference on what was happening  
17 to the airplane for a particular value of the flow  
18 field. So we'll continue, you know, based on the  
19 Atlantic City test, we think that the flow is fairly  
20 restricted in diameter, and we will certainly try to  
21 determine that.

22 MR. CLARK: What, in your estimation, what is  
23 the effective flow field? What kind of diameter are we  
24 looking at? Not the core size, but the entire flow

1 field?

2 THE WITNESS: I really don't have a good  
3 answer for you. The model that we've used, I believe,  
4 uses a one over the radius squared outside of the core,  
5 in a linear distribution within the core. And I'm not  
6 sure how many diameters outside the core that affects.

7 MR. CLARK: Do you have any estimates, or are  
8 we talking a flow field effective of something like 1  
9 out of 100 feet or 25 feet?

10 THE WITNESS: I wouldn't think, yes, I don't  
11 think it would be that far out, perhaps. And  
12 obviously, you see a pretty distinct effective between  
13 the two, when they are 70 feet apart. So obviously, 35  
14 feet from the center, you would see something. So  
15 it's, I'm sure, out there 50 feet or more.

16 MR. CLARK: So that's a radius. So if we're  
17 talking 35 feet on each side, we're looking at a 70  
18 foot diameter that can be effective near?

19 THE WITNESS: Yes, I'm sure it's felt at  
20 least in that.

21 MR. CLARK: On the question of FDR  
22 parameters, are you familiar with EICAS filters, and  
23 how that affects FDR data?

1 THE WITNESS: Just vaguely.

2 MR. CLARK: I believe for the record the 737  
3 does not use EICAS filters.

4 THE WITNESS: Yes, that's correct. I know  
5 there is a concern on some of the other airplanes. But  
6 our data, I believe, does not suffer from that.

7 MR. CLARK: I'd like to look at two exhibits,  
8 and we'll switch back and forth. Primarily it's  
9 Exhibit 9X-L, which is a part of Mr. McGrew's  
10 presentation. But are you familiar with that document?

11 THE WITNESS: Yes, I believe so.

12 MR. CLARK: And are you familiar with the  
13 graphs and plots and part of the summary table in that  
14 document?

15 THE WITNESS: Yes. Let me find it first.  
16 Yes, I have it, thank you.

17 MR. CLARK: We'll be in great shape as soon  
18 as I find mine.

19 Okay. I want to go through several of the  
20 events and basically, on page 5, there's a number of  
21 events and events 1 through 12 are Boeing conclusions  
22 that those were wake turbulence events.

23 THE WITNESS: Yes. In the process of  
24 evaluating these events, these have been compared to

1 basically the test data from Atlantic City to determine  
2 whether that's a possibility.

3 MR. CLARK: Okay. And then on page 13, if we  
4 could have that graph up.

5 CHAIRMAN HALL: Would you clarify for us what  
6 this document is, what we're referring to here?

7 MR. CLARK: Would you characterize that, Mr.  
8 Kerrigan?

9 THE WITNESS: Okay. Basically, since the  
10 accident, we've had a fair number of reports of other  
11 incidents from various airlines that have come into the  
12 Boeing Company and to the NTSB. And we've gone through  
13 and, outside of the investigation, we've had a group  
14 looking into the causes of these accidents. We had  
15 blue water mentioned yesterday. That was explored,  
16 along with wake turbulence and any other potential  
17 causes for these incidents.

18 We, this is a summary of ~~about~~, what is it,  
19 25 incidents that we've evaluated, and some going back  
20 as far as 1993, but most of them are basically since  
21 the accident. And those have been compared to, like I  
22 say, wake turbulence data from U.S. Air, or yes, from  
23 the U.S. Air test airplane, and also from, in many  
24 cases, the certification autopilot hardovers and what-

1 not on the airplane.

2 MR. CLARK: Okay. And the presumption for  
3 the comparison of the charts and graphs, that data does  
4 have similarities to wake vortex encounter,  
5 specifically the data from the Atlantic City test?

6 THE WITNESS: Right.

7 MR. CLARK: I'd like to bring up data plots  
8 from Exhibit 13X-K, page 18.

9 You don't have that in the --

10 CHAIRMAN HALL: The exhibit is 13X-K, the  
11 page is 18. Do you have that, Mr. Kerrigan?

12 THE WITNESS: I have it in front of me. I  
13 don't know the viewfoil of it.

14 (Slide shown.)

15 MR. CLARK: I believe this is the same event  
16 from 8/30/95, a Continental 737 incident. And what I'd  
17 like to address is, are you familiar with some of the  
18 Rod Wing-rove studies from NASA, where he evaluated or  
19 looked at high altitude upsets?

20 THE WITNESS: I have looked at some of them,  
21 quite some time ago, not recently.

22 MR. CLARK: And basically the premise there  
23 is that if pitch attitude is relatively constant and  
24 the vertical gees are active, and the influence is from

1 an external source, and then if the pitch attitude is  
2 moving and the gees seem to be following pitch  
3 attitude, the influence is more likely from an internal  
4 source, such as pilot input?

5 THE WITNESS: Right.

6 MR. CLARK: Okay. In this situation, we're  
7 looking at pitch attitude and vertical acceleration,  
8 which is on the top. Is that in your estimation  
9 consistent with an upset from an external source?

10 THE WITNESS: It would appear so, yes.

11 MR. CLARK: Basically the pitch is constant  
12 and the vertical gees are moving?

13 THE WITNESS: Correct.

14 MR. CLARK: And also in that same scenario  
15 down at the bottom, we certainly do have a roll  
16 oscillation?

17 THE WITNESS: Yes.

18 MR. CLARK: Okay. I'd like to go back to, or  
19 move on to Exhibit 13X-K, page 5.

20 (Slide shown.)

21 MR. CLARK: Now, this is plotted differently,  
22 but it's from the same data set that Boeing had in  
23 Exhibit 9X-L, page 7. I don't think we need to bring  
24 both up at a time. But in this situation, this is one

1 of those that Boeing referred to as a wake turbulence  
2 encounter. And in the early parts of the data, from,  
3 say, 70940 to 70944, for example, is that consistent  
4 with some sort of external influence?

5 THE WITNESS: I would think so, yes.

6 MR. CLARK: And then later on, for example,  
7 from 70952 to 70956, are those consistent with external  
8 or internal inputs?

9 THE WITNESS: Well, obviously, pitch angle is  
10 starting to move around there. Making that judgment  
11 without going through and actually trying to recreate  
12 it is difficult to say out of hand. But certainly  
13 there's pilot input there as well.

14 MR. CLARK: Okay. And then looking at the  
15 typical frequency of the plot called VACC, vertical  
16 acceleration, there's a certain frequency rate. And  
17 I'd like you to compare that to the roll rate in that  
18 situation. Do those seem comparable to you?

19 THE WITNESS: A frequency rate?

20 MR. CLARK: The frequency of the disturbance  
21 in the vertical acceleration.

22 THE WITNESS: There is a bit of a frequency  
23 there, fairly difficult to pick out a rate. It doesn't  
24 appear to be too consistent with bank angle.

1 MR. CLARK: So the bank angle, we have a roll  
2 excursion to about 20 degrees in, oh, 4 to 6 seconds,  
3 something like that?

4 THE WITNESS: Right.

5 MR. CLARK: Kind of a slow roll-off?

6 THE WITNESS: Urn-hmm.

7 MR. CLARK: And is that consistent with a  
8 wake vortex encounter, that type of roll-off?

9 THE WITNESS: Well, I think if you look at  
10 the wake testing from Atlantic City, you can find that  
11 there is perhaps no typical wake vortex encounter time  
12 history. It varies anywhere from a very large input if  
13 the pilot does nothing to fairly mild input if it's  
14 controlled directly.

15 As Mr. Cox pointed out, if you're on top of  
16 the controls when something like this hits, you don't  
17 get much of an upset. So you can get just about  
18 anywhere in between. So it could be consistent with  
19 that.

20 MR. CLARK: Could be, okay.

21 And this disturbance we see on the vertical  
22 acceleration lasts from say, 70936 to 71000, a little  
23 longer, maybe 24 seconds?

1           THE WITNESS:   Give me those times again, 36  
2 to --

3           MR. CLARK:    It was 70936 to 71000.

4           THE WITNESS:   There is definitely, yes,  
5 oscillations occurring in that period of time from  
6 whatever source.

7           MR. CLARK:    And is that typical of a vortex  
8 encounter, to be able to stay in a vortex for 24  
9 seconds?

10          THE WITNESS:   Well, again, it's difficult to  
11 say what that vortex is going to look like. From the  
12 testing we saw, you can get into the vortex again and  
13 again. If you happen to be trying to follow the same  
14 path, if you looked at the testing that these guys did  
15 in Atlantic City, with some effort they were able to  
16 follow the core of the vortex for long periods of time.  
17 So it's not, certainly not impossible for that to be  
18 in continued flight in a vortex or about a vortex.

19          MR. CLARK:    And then the bottom chart, that  
20 altitude change of about 800 feet over that time period  
21 is, that's not typically consistent with a vortex  
22 encounter?

23          THE WITNESS:   Well, again, it all depends on  
24 what the leading airplane is doing. At this point in

1 this evaluation, we haven't really looked at whether  
2 there's another airplane in the area, necessarily.  
3 We're looking at the data, trying to find similarities  
4 between reported events and known wake events. So the  
5 comparisons that we made in the other data set from,  
6 what was it --

7 MR. CLARK: That one would be on page 7 of --

8 THE WITNESS: Nine X, yes, 9X-L. It just  
9 shows that there are some similarities between the two.

10 MR. CLARK: Okay.

11 THE WITNESS: It doesn't mean that it's  
12 consistent throughout.

13 MR. CLARK: And then on, I'd like to refer to  
14 13K, page 9. And that's the same data set as, that  
15 occurred on 7/18/95 that is in 9X-L, page 8. But I  
16 think we can just look at page 9.

17 THE WITNESS: Okay.

18 MR. CLARK: And basically that shows a roll  
19 excursion, and there is some activity on the vertical  
20 acceleration. I'd like to look at the, compare the  
21 timing of the pitch attitude data, second data line  
22 down, to the vertical acceleration, which is the second  
23 data line from the bottom. Can you perceive the  
24 frequency change in, or the timing of the events,

1 comparing a pitch attitude to a gee excursion, for  
2 example, which occurs first?

3 THE WITNESS: Well, typically, the pitch  
4 angle, I think, well, pitch actually takes a while to  
5 catch up with angle of attack. So the angle of attack  
6 would change pretty much with the load factor.

7 MR. CLARK: With the pitch attitude. So in  
8 this case, the gee excursions we're seeing seem to be  
9 following the pitch attitude?

10 THE WITNESS: To some extent, that appears to  
11 be true.

12 MR. CLARK: And they're peaking out slightly,  
13 later in time.

14 THE WITNESS: Right.

15 MR. CLARK: In the Wing-rove type data, is  
16 that more consistent with an input from inside the  
17 cockpit rather than --

18 THE WITNESS: It's certainly possible.

19 MR. CLARK: Okay. And then going back to the  
20 middle channel that shows the roll oscillations, that  
21 show a roll excursion occurring up to about 20 degrees  
22 over a 7 second period, again, is that consistent with  
23 a typical vortex encounter?

1           THE WITNESS: Well, I think the initial part  
2 of it may not be. I don't recall the particulars of  
3 this incident. Quite often there is a change in  
4 heading that is being made or whatever as the incident  
5 occurs. I don't remember the details of this  
6 particular event.

7           MR. CLARK: Okay. Thank you. I have no  
8 other questions.

9           CHAIRMAN HALL: All right. If we could get  
10 the lights again. Then, Mr. Marx?

11          MR. MARX: No questions.

12          CHAIRMAN HALL: Mr. Marx has no questions.  
13 Mr. Schleede?

14          MR. SCHLEEDE: I can't see my notes.

15                 (Laughter.)

16          MR. SCHLEEDE: Mr. Kerrigan, is there any  
17 possible configuration of the wake in relation to the  
18 shift of the airplane that can theoretically cause a  
19 yawing moment?

20          THE WITNESS: Theoretically, I guess I don't  
21 know how to answer that. Empirically, we haven't found  
22 in the testing any indication that there is a strong  
23 wake or a strong yawing moment associated with entering  
24 the wake from a number of different directions.

1           MR. SCHLEEDE: I'd like to shift off to some  
2 other subject briefly, talk about yaw dump damper step  
3 inputs, hardover yaw dampers. From an aerodynamic  
4 standpoint, what type of effects do you get on the  
5 airplane at various speeds, say, cruise and approach?  
6 What kind of lateral accelerations would you expect?

7           THE WITNESS: Well, I don't know off-hand  
8 what the values are. They are certainly perceptible.  
9 I know that early on in the 737 program there were  
10 quite a number of problems that occurred with the yaw  
11 damper that have since been corrected. There have been  
12 quite a number of improvements made to that system over  
13 the years. Early on, there were occasions when the yaw  
14 damper kicks would, in particular I think at cruise,  
15 cause people to lose their balance in the back of the  
16 airplane, and there were some injuries involved in  
17 that.

18           MR. SCHLEEDE: Thank you. And one other area  
19 that Mr. Clark was pursuing, about the rate rudder  
20 movement, and he brought up that some of our work,  
21 previous work, has involved your working on possible  
22 scenarios such as a slat failure, causing the yawing  
23 moment. Do you recall your earlier testimony?

1 THE WITNESS: Yes.

2 MR. SCHLEEDE: And I've went through the  
3 testimony from Pittsburgh, or from the previous  
4 hearing, and at that time, it was an open item, whether  
5 or not number 1 slat could match the data. Could you  
6 comment on that briefly, where we stand on that?

7 THE WITNESS: Sure. Yes, we did look at, in  
8 the wind tunnel, the slat in an unusual attitude, kind  
9 of bent up and in front of the wing, to the extent that  
10 our loads people felt that that was a possibility,  
11 based on the damage that was, or based on the damage  
12 that wasn't done, the structure that was left at the  
13 accident, on the accident airplane.

14 And basically in the wind tunnel we saw very  
15 little yawing moment due to that configuration. And on  
16 that basis, we eliminated that from consideration. We  
17 don't feel that the slat which had a structural failure  
18 that was, could have been pre-existing, we think it was  
19 caused by impact, but could have been pre-existing,  
20 that that configuration that would have resulted would  
21 not have produced enough yawing moment to sustain  
22 anywhere near this maneuver.

23 MR. SCHLEEDE: Is that in our record, that  
24 conclusion, or enough for us to confirm that

1 conclusion?

2 THE WITNESS: I would assume so.

3 MR. SCHLEEDE: Timing-wise, I didn't remember  
4 that we hadn't, yes, we were present during some of the  
5 wind tunnel testing and what-not. And on the same  
6 area, we had testimony and discussions about the  
7 possibility of a step input in the rudder such as  
8 someone jerking the cable, someone stepping through the  
9 floor or some other jerk on the cable. Do you recall  
10 that?

11 THE WITNESS: I recall that being discussed,  
12 yes.

13 MR. SCHLEEDE: Without going through it, I've  
14 reviewed the transcript, at that time, that was  
15 partially discounted because of the kinematic data that  
16 showed a rudder rate of maybe 6 degrees per second. Do  
17 we need to rethink that because of the recent rudder  
18 rate data that we have?

19 THE WITNESS: I don't know if that is a  
20 possibility or not. From a mechanical standpoint,  
21 whether you can get enough pressure by stepping on a  
22 pedal to cause this kind of an occurrence or not, I  
23 really don't know.

1           MR. SCHLEEDE: I was ~~reading~~ from an  
2 aerodynamic standpoint. From what I get out of the  
3 charts here, now, that we could have up to a 30 degree  
4 per second rudder movement?

5           THE WITNESS: Yes, I think that's possible.  
6 Again, we will hopefully have another cut at that,  
7 based on the flight test data, which should give us  
8 hopefully a more accurate --

9           MR. SCHLEEDE: And would that be  
10 characterized as a step input?

11          THE WITNESS: Well, I mean, obviously, it's  
12 not at the rate limit of the rudder, at this point.  
13 The rudder is capable of moving at about 60 degrees a  
14 second, I believe, 50 to 60 degrees a second. So it's  
15 about half the maximum available rate. But a step  
16 input can basically be any rate you want it to be.

17          MR. SCHLEEDE: Thank you very much.

18          CHAIRMAN HALL: Mr. Laynor?

19          MR. LAYNOR: Just a couple.

20          Mr. Kerrigan, first of all, and you don't  
21 have to reach for it, but in Exhibit 9X-L that Mr.  
22 Clark was referring to, on several of the plots we show  
23 traces that are attributed to autopilot hardover. And  
24 we were wondering what the source of the data?

1           THE WITNESS: That data came from  
2 certification flight testing on the 737-300.

3           MR. LAYNOR: Conducted back on the original  
4 certification process?

5           THE WITNESS: Yes, on the 300, back in 1984,  
6 1985.

7           MR. LAYNOR: Okay. Following up on one of  
8 Mr. Schleede's questions, I know you haven't finished  
9 your examination of the Atlantic City flight test data.  
10 But did you see any of that data, any of those flights  
11 on a preliminary look that indicated unexplainable  
12 yawing moments?

13          THE WITNESS: No. Not at this point. There  
14 has been no unusual yawing moments apparent.

15          MR. LAYNOR: Are you comfortable in your own  
16 mind that we've pretty much exhausted the examination  
17 of any other type of failures, other than aerodynamic  
18 rudder loads that could produce a yawing moment similar  
19 to what you see in the accident flight test data?

20          THE WITNESS: Yes. We've pretty well  
21 brainstormed what could cause that. And basically, in  
22 order to cause the kind of yawing moment that's  
23 required to sustain that maneuver, you would have to  
24 either be out near a wingtip or back at the aft end of

1 the airplane. And that, we don't think there's  
2 anything else aerodynamically that could cause that  
3 kind of a yawing moment.

4 MR. LAYNOR: Okay. One last question, and  
5 this refers to one of Mr. Clark's questions also.

6 In testimony, and I can't recall whose it  
7 was, perhaps Mr. Berven's, we talked about increasing  
8 or changing operational procedures to, for the speed  
9 range, with the specific flap settings. And we were  
10 talking about going to flaps 5, a little bit  
11 prematurely, to what the current procedures called for.

12 And presumably, that was to get closer to the, where  
13 the lateral control authority could offset a  
14 directional control movement. Did you say that that  
15 data is not available to support the change in that  
16 procedure?

17 THE WITNESS: Well, certainly, the simulator  
18 is valid for that. I just haven't specifically gone in  
19 and evaluated flaps 5 to any great extent. You know,  
20 there's an obvious advantage to going faster. You get  
21 closer to the, you have more of a controllable, you  
22 have more control as you go faster, obviously. The  
23 lateral control can overpower the directional control  
24 as you go in that direction.

1           So there is some advantage to increasing the  
2 operational speeds. Again, it's, there isn't a cliff  
3 there. You don't suddenly, you go faster than that  
4 speed, nothing really dramatic happens that's  
5 different. If you stay on the controls, as Mr. Cox  
6 indicated, if you're on top of things and you put in  
7 wheel to keep the airplane right side up, as the rudder  
8 comes in, you would see a difference between the two.  
9 But you wouldn't, it wouldn't be a startling  
10 difference.

11           MR. LAYNOR: Well, conversely, if you get the  
12 same speed, you have to pass through the speed range at  
13 some point in time, anyhow.

14           THE WITNESS: Right.

15           MR. LAYNOR: With the higher flap setting,  
16 can you explain again what the aerodynamic  
17 characteristics are that produce a higher lateral  
18 control authority?

19           THE WITNESS: Well, basically, it isn't as  
20 much a change in the lateral as it is change in the  
21 blow-down of the rudder. The faster you go, the more,  
22 the less rudder that you're able to get because of  
23 blow-down. And that's really what's determining, the  
24 determining factor in this crossover point.

1           MR. LAYNOR: But my point is, with flaps 5,  
2 presumably, you pick up some additional margin at a  
3 given speed. And I am curious as to what the change in  
4 lateral control authority is.

5           THE WITNESS: Okay. I understand. Well, the  
6 primary change is with regard to the spoilers. You are  
7 carrying more lift when you use flaps 5 than flaps 1.  
8 You're flying generally slower. And the rolling moment  
9 that you can get out of spoiling that lift is greater,  
10 and that's the difference between flaps 5 and flaps 1.

11          MR. LAYNOR: All right. Thank you, sir.

12          CHAIRMAN HALL: Mr. Kerrigan, first let me  
13 thank you for your presence here today, and the work  
14 you have obviously done.

15                 And I certainly take note of your comments in  
16 regard to the flight data recorders. It's been said  
17 here many times that all of the parties and the  
18 agencies of the Federal Government involved in this  
19 investigation have expended thousands of man hours,  
20 literally millions of dollars in an investigation, that  
21 had that plane been equipped with the flight data  
22 recorder with adequate, with parameters that  
23 technology, current technology enables the recorder to  
24 be equipped with, we would not be here today, in the

1 Chairman's opinion.

2           And it concerns me that this fleet continues  
3 to fly in this country without the technology that is  
4 available today. And on every occasion, I'm going to  
5 encourage, because I think it's my responsibility to do  
6 so, the individuals that are in the position to make a  
7 decision on that to proceed with the recommendation  
8 that this agency has made or come forward, at least,  
9 with some recommendation that would address this issue.

10           As you know, I'm not an engineer, and I'm not  
11 going to refer to any of these charts or ask you any  
12 technical questions. I just want to ask you, have you  
13 done everything you think, you know, you put together a  
14 special roll team, is there any information that the  
15 Boeing Corporation has, that you have as the principal  
16 engineer for this airplane, that the public needs to  
17 know about, or the pilots that operate the airplane  
18 need to know about?

19           THE WITNESS: I don't believe so. I think,  
20 as was pointed out yesterday, all the information that  
21 we have has flown very freely between all the parties.

22           CHAIRMAN HALL: Very well. Well, I  
23 appreciate very much your testimony.



1                           JEAN ALLEN MCGREW  
2                           737 CHIEF PROJECT ENGINEER  
3                           BOEING COMMERCIAL AIRPLANE COMPANY

4 Whereupon,

5                           JEAN ALLEN MCGREW  
6 was called for examination and, having been duly sworn,  
7 was examined and testified as follows:

8                   MR. SCHLEEDE: Please give us your full name  
9 and business address.

10                   THE WITNESS: My name is Jean Allen McGrew.  
11 My business address is the Boeing Commercial Airplane  
12 Company, Seattle, Washington, 98046.

13                   MR. SCHLEEDE: And what is your exact title,  
14 working at Boeing?

15                   THE WITNESS: I'm the 737 Chief Project  
16 Engineer.

17                   MR. SCHLEEDE: Would you give us a brief  
18 description of your education and background?

19                   THE WITNESS: I have a bachelor of science in  
20 aeronautical engineering, and a master of science in  
21 applied mechanics.

22                   MR. SCHLEEDE: And how long have you worked  
23 at Boeing, and generally what positions?

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           THE WITNESS: Six years first as Chief  
2 Engineer in structures, and then Chief Project Engineer  
3 for the 737.

4           MR. SCHLEEDE: Thank you.

5           Mr. Phillips?

6           MR. PHILLIPS: Thank you.

7           Good morning.

8           THE WITNESS: Good morning.

9           MR. PHILLIPS: Prior to coming to Boeing,  
10 what did you do?

11          THE WITNESS: I spent many years with  
12 McDonnell Douglas, working in Long Beach in transport  
13 aircraft. I was involved in the design and development  
14 of the MD-80 series, DC-10s, a number of other related  
15 projects.

16          MR. PHILLIPS: You were employed as an  
17 engineer?

18          THE WITNESS: I was an engineer and a  
19 manager.

20          MR. PHILLIPS: Okay. Any particular area of  
21 specialty, aerodynamics, structures?

22          THE WITNESS: Actually, I was a specialist in  
23 aero-elasticity and flutter, and taught such at the  
24 University of Southern California.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           MR. PHILLIPS:   Okay.   Just a few things  
2 today.   First of all, I'd like to ask you a little more  
3 detail about your responsibilities at Boeing today.  
4 For your 737 Project Engineer, what does that job  
5 encompass?

6           THE WITNESS:   Effectively, that encompasses  
7 managing the technical aspects of the airplane, and the  
8 support of the fleet.   I'm really an integrator in  
9 making sure that the aircraft, or change to the  
10 aircraft, work together and work properly the first  
11 time.   I have a very, very small staff.   I'm supported  
12 by all the specialists as the need arises.

13          MR. PHILLIPS:   So do you currently hold  
14 design responsibility for the 737 fleet?

15          THE WITNESS:   For the current, the 300, 400  
16 and 500s, I do.   Not for the new generation.

17          MR. PHILLIPS:   And in the area of continuing  
18 airworthiness, such things as service bulletins,  
19 service letters, you would coordinate that effort for  
20 Boeing?

21          THE WITNESS:   No, actually that coordination  
22 is done via the service engineering organization.   And  
23 I see, personally see those which are felt to be  
24 necessary to be reviewed.   Normally, they go through

1 the various engineering disciplines for review.

2 MR. PHILLIPS: Okay. Did you hold the  
3 position of Chief Project Engineer at the time of the  
4 U.S. Air 427 accident?

5 THE WITNESS: Yes, I did.

6 MR. PHILLIPS: Okay. And have you been  
7 involved in the accident investigation?

8 THE WITNESS: Constantly.

9 MR. PHILLIPS: Okay. Has it been a full time  
10 job, mostly?

11 THE WITNESS: Pretty much.

12 MR. PHILLIPS: I'd like to talk for a few  
13 minutes about the FAA's critical design review. Are  
14 you familiar with that process?

15 THE WITNESS: Yes, I am.

16 MR. PHILLIPS: And we've prepared an exhibit  
17 9X-N, which is entitled Critical Design Review  
18 Executive Summary. And without going into repetitive  
19 detail of the CDR, which we've had testimony earlier  
20 this week on, I'd like to ask specifically about this  
21 exhibit. Is it, it's my understanding that this is an  
22 executive summary. Was this prepared by FAA in this  
23 form, or is this a paraphrased version by Boeing?

1           THE WITNESS: I frankly do not know. It  
2 looks like the executive review, but I have not looked  
3 at that recently.

4           MR. PHILLIPS: The point I'd like to make is  
5 that for technical reference, we have the, listed as  
6 9X-A, we have the complete report as a document. But  
7 I'd like to refer to some pages in this executive  
8 summary, and if we need to cross check them, we can  
9 with the document.

10          THE WITNESS: Okay.

11          MR. PHILLIPS: What was your participation in  
12 the conception or inception of the CDR?

13          THE WITNESS: Only that when the requestor,  
14 or not the request, the proposal came in from the FAA  
15 that they wished to carry it out, I collected a couple  
16 of people to assist and lead in the team, or work with  
17 the team. I did not participate in any of their  
18 meetings.

19          MR. PHILLIPS: Okay. Were you consulted  
20 prior to the formation of CDR concerning the potential  
21 for CDR?

22          THE WITNESS: Oh, yes.

23          MR. PHILLIPS: Did you agree a CDR was an  
24 appropriate process at the time, and circumstances?

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           THE WITNESS: Well, it wasn't high on my list  
2 of favorite things to do. But I certainly agreed that  
3 it was a necessary thing.

4           MR. PHILLIPS: And in supporting that  
5 process, do you know how many people you've provided?

6           THE WITNESS: I would guess we had probably  
7 seven or eight, something on that order, over the  
8 period of the review, in and out. May have been more.  
9 Some people were there nearly full time with the team.  
10 Others as on-call.

11          MR. PHILLIPS: And how did you identify those  
12 people who participated?

13          THE WITNESS: That was based upon the  
14 specialties that were needed to support the team itself  
15 and their requirements and requests.

16          MR. PHILLIPS: Okay. Was there any  
17 discussion among yourself and the FAA management  
18 concerning the areas of study for the CDR?

19          THE WITNESS: No. I believe that that was  
20 specified by the charter that the FAA put forward, and  
21 as I recall, we did not question that.

22          MR. PHILLIPS: Okay. In Exhibit 9X-N, slide  
23 4, we don't have page numbers, but on what's labeled as  
24 slide 4 on the lower left hand corner, could we put up

1 -- Rick, do we have that viewgraph? We don't. Okay,  
2 no problem.

3 We've got the exhibit. It's entitled  
4 Background. And the first bullet is the objective of  
5 the review was to assess the continued operational  
6 safety of the 737 flight control system and recommend  
7 corrective action for any deficiencies discovered. In  
8 forming that objective, why would you suspect the  
9 flight control system would be the prior, or the  
10 predominant concern for that review? Was that based on  
11 the accident, the 427 accident?

12 THE WITNESS: I think so.

13 MR. PHILLIPS: Okay. And the lateral and  
14 directional control systems were specifically studied?

15 THE WITNESS: Yes.

16 MR. PHILLIPS: And then the last bullet,  
17 Design, Maintenance and Operational Factors, do you  
18 agree that those were all valid areas for a CDR at this  
19 time?

20 THE WITNESS: Yes.

21 MR. PHILLIPS: Going on to the next slide, on  
22 page 5 of the same exhibit, the team, we heard earlier  
23 testimony that the team was composed of people outside  
24 the FAA. Did you on any occasion get to meet with any

1 of these people?

2 THE WITNESS: Late in the CDR review, I met  
3 several of them. But not early, or through most of it,  
4 no.

5 MR. PHILLIPS: Okay. And then the next  
6 bullet, it says, the team looked only at what failures  
7 and malfunctions of the control system were physically  
8 possible, hazard assessment. I'd like to talk a few  
9 minutes about that, based on our earlier testimony.  
10 Based on your experience, what would you consider to be  
11 a hazard assessment?

12 THE WITNESS: I think in this case it refers  
13 to what we normally would call an FMEA, which is  
14 failure modes and effects analysis, qualitatively  
15 formulated in terms of the possible hazards that could  
16 exist, in terms of the system and its performance.

17 MR. PHILLIPS: Okay. Is FMEA any different  
18 than a hazard assessment or a fault tree analysis?

19 THE WITNESS: I think a fault tree analysis  
20 is considered a form of an FMEA. And frankly, since I  
21 don't use the word hazard analysis, or we don't  
22 generally, I think that's the best definition I can  
23 give you.

1           MR. PHILLIPS:   Okay.  A failure analysis  
2 would fit into the same category?

3           THE WITNESS:   Yes.

4           MR. PHILLIPS:   On slide 6, the second bullet  
5 says, conservative assumptions were used, or implies  
6 conservative assumptions were used in the process.  The  
7 second bullet says that assumed that normal flight  
8 envelope for control position normally encountered  
9 should consider the potential for full flight control  
10 surface to fail or jam when at full limit deflection.  
11 Do you agree that's a conservative assumption?

12          THE WITNESS:   I agree that's a conservative  
13 assumption.

14          MR. PHILLIPS:   Do you ~~have any~~ comment or  
15 position on using that as a criteria for review of a  
16 flight control system?

17          THE WITNESS:   When you say consider the  
18 potential for a function, no, I agree that it is  
19 reasonable.

20          MR. PHILLIPS:   Okay.  We've heard some  
21 discussion this week about whether the definition of  
22 normally encountered and specifically the FAA's CDR  
23 team leaders' concerns about defining that, what would  
24 you define as normally encountered?

1           THE WITNESS: My personal definition would be  
2 control surface deflection that was used on a regular  
3 basis, or up to that deflection was used on a regular  
4 basis in normal operating conditions.

5           MR. PHILLIPS: So if a full deflection was  
6 possible, the flight control wouldn't normally be used  
7 by your terminology, you wouldn't feel it would need to  
8 be considered in this?

9           THE WITNESS: No, I didn't say that. I think  
10 consideration needs to be given to all possibilities,  
11 but it needs to be a very rational consideration.

12          MR. PHILLIPS: Okay. Going to the next to  
13 last bullet on slide 6, we talk about continued safe  
14 flight landing, which includes consideration of work  
15 load strength, skill requirements and maintaining  
16 continuous control of the airplane. Using your  
17 engineering judgment, is consideration of pilots  
18 workload strength and skill a normal concern for an  
19 engineer?

20          THE WITNESS: Oh, I think so, yes.

21          MR. PHILLIPS: And how would that be applied  
22 to engineering judgment or principles?

23          THE WITNESS: I think the engineer in the  
24 design process needs to consider those elements in his

1 design.

2 MR. PHILLIPS: Okay. And the last bullet,  
3 assumed worst case reaction of flight crew to  
4 identified failures and malfunctions. How would you,  
5 how would an engineer know what the worst case reaction  
6 would be?

7 THE WITNESS: I think that would be presumed  
8 to be just what it says it is, the worst possible thing  
9 that could conceivably occur.

10 MR. PHILLIPS: Would that include some input  
11 from operational, from the pilot staff which would  
12 define --

13 THE WITNESS: Sure.

14 MR. PHILLIPS: Okay. On slide 8, where we  
15 talk about the process, this is a continuation of the  
16 process of the CDR team, the second bullet says that  
17 extensive flight simulator exercises were conducted.  
18 Did you participate in that or arrange for any of that?

19 THE WITNESS: No, I did not.

20 MR. PHILLIPS: Okay. And then the third one  
21 is reviewed the 737 flight control system failure  
22 analysis. Were you involved in any of that?

23 THE WITNESS: I was not involved in their  
24 review of it, but I have looked at it.

1           MR. PHILLIPS: Along those lines, we heard  
2 earlier testimony that as a result of recommendations  
3 that we're going to discuss later here in the CDR, that  
4 Boeing has provided a new failure analysis related to  
5 the rudder control system. Are you familiar with that  
6 effort?

7           THE WITNESS: I am.

8           MR. PHILLIPS: Could you summarize that, give  
9 us a history of its genesis?

10          THE WITNESS: It was a request, specific  
11 request, from the FAA, the ECO in Seattle. And we took  
12 some of the team that had been supporting the CDR, and  
13 they spent a goodly amount of time in preparing it, and  
14 have submitted it.

15          MR. PHILLIPS: Have you seen the document?

16          THE WITNESS: I have seen it, and I have  
17 reviewed it quickly, but I am not intimately familiar  
18 with it.

19          MR. PHILLIPS: Are you familiar with it  
20 enough to know whether it discusses the probabilities  
21 of failures of certain actions on that system?

22          THE WITNESS: I believe that it does.

23          MR. PHILLIPS: Does it, do you recall or can  
24 you tell us whether it makes any findings on the

1 probability of failure of the directional system?

2 THE WITNESS: I would be stretching that. I  
3 believe that it does, but I would have to review it to  
4 confirm the answer.

5 MR. PHILLIPS: Okay. The process for the  
6 FAA's review and feedback with Boeing on that, when do  
7 you expect that to be complete?

8 THE WITNESS: I frankly do not know what the  
9 status of that review is. The current effort has been  
10 with the CDR responses, and awaiting the return of that  
11 submittal of data from the FAA.

12 MR. PHILLIPS: Okay. Do you have any general  
13 feeling about, are we talking about two months or three  
14 months?

15 THE WITNESS: On the CDR?

16 MR. PHILLIPS: Right.

17 THE WITNESS: My understanding, and that  
18 comes from this hearing, is it's expected around the  
19 end of November.

20 MR. PHILLIPS: Okay. And Boeing's prepared  
21 to support whatever needs to be done to --

22 THE WITNESS: Yes.

23 MR. PHILLIPS: -- meet that date?

1 THE WITNESS: Yes.

2 MR. PHILLIPS: Let's turn to slide 11, which  
3 is the summary of recommendations. And I believe this  
4 slide attempts to encapsulize groups of  
5 recommendations. And one of the ones I want to start  
6 with is the, I believe the area of improved maintenance  
7 of flight control components and assemblies. Are you  
8 aware of any significant findings by Boeing as a result  
9 of the CDR team's recommendations and your response  
10 that would indicate improved maintenance and flight  
11 control components and assemblies as required, if there  
12 any changes?

13 THE WITNESS: I'm familiar with a couple of  
14 them, in reviewing these before it was submitted. I  
15 think in the wheel well area, there are some concerns  
16 with the washing procedures and cleaning procedures.  
17 That's one specific one I recall.

18 MR. PHILLIPS: Okay. Any others?

19 THE WITNESS: None come to mind immediately.  
20 I would have to review our submittal.

21 MR. PHILLIPS: Okay. The number 5 on the  
22 same list is improved surveillance of design,  
23 manufacture and repair of replacement parts for flight  
24 control components. This, I would assume, involves the

1 recommendations for S-FAR-36 PMA approvals?

2 THE WITNESS: Yes.

3 MR. PHILLIPS: Do you have any comment on  
4 that in regard to Boeing's position on that  
5 recommendation?

6 THE WITNESS: Boeing supports it.

7 MR. PHILLIPS: And do you recall the nature  
8 of the recommendations?

9 THE WITNESS: Yes, I think I do.

10 MR. PHILLIPS: Could you briefly summarize  
11 those recommendations?

12 THE WITNESS: I think the concern is with the  
13 availability of data and material for some of the third  
14 party shops, or agencies. And it is our feeling that  
15 the process needs to be developed so that they have the  
16 proper data so that they can accomplish that job. And  
17 if they have not the proper tools or the proper data,  
18 then they should not be working those units.

19 MR. PHILLIPS: Has Boeing made any  
20 determination that they don't have the proper tools or  
21 data to do the job they're doing today?

22 THE WITNESS: I think no initial  
23 determination.

1 MR. PHILLIPS: Okay. So your statement is,  
2 though, you support the concept of the recommendation?

3 THE WITNESS: Yes.

4 MR. PHILLIPS: I've skipped some of the other  
5 ones. Are there any that I've left out in the group  
6 that you'd like to comment on as being significant in  
7 your eyes?

8 THE WITNESS: Portions of item 2, I think are  
9 significant.

10 MR. PHILLIPS: And that's enhance flight crew  
11 training for response to failures in flight path upset?

12 THE WITNESS: That's right.

13 MR. PHILLIPS: Would you like to comment  
14 further on that?

15 THE WITNESS: No, I believe that that is an  
16 area that needs attention.

17 MR. PHILLIPS: And the Boeing response will  
18 reflect that?

19 THE WITNESS: You say will it? Yes.

20 MR. PHILLIPS: Yes, okay. How much  
21 additional activity do you expect to support the  
22 conclusion or resolution of these recommendations?

23 THE WITNESS: When you talk about all 27  
24 recommendations, I find that very hard to estimate.

1 But if you talk about the 15 that we have responded to  
2 immediately, I expect a return from the FAA and  
3 probably a few months of continued work in those areas.

4 MR. PHILLIPS: Okay. And the support of that  
5 effort, does that carry over into your customer support  
6 function and your, other than engineering?

7 THE WITNESS: Yes. It would be both.

8 MR. PHILLIPS: I'd like to talk for just a  
9 few moments now about the actions or the activities on  
10 the 737 program since our last meeting, and  
11 particularly since the accident. Have there been any  
12 significant changes on the airplane since that time?

13 THE WITNESS: There are no significant  
14 changes put in production at point, but there are some  
15 significant things that have happened. Well, I take  
16 that back. The PCU AD, which we heard yesterday, I  
17 believe, about, is being carried out and is something  
18 on the order of I believe 75 percent complete within  
19 the fleet.

20 MR. PHILLIPS: Okay, that's the servo valve  
21 change?

22 THE WITNESS: That's right.

23 MR. PHILLIPS: Is there any other actions on  
24 the servo valve or PCU contemplated at this time?

1 THE WITNESS: Not by Boeing on the 737, no.

2 MR. PHILLIPS: Okay. No service bulletin or  
3 service letter activity?

4 THE WITNESS: With ~~respect~~ to the PCU?

5 MR. PHILLIPS: With respect to the PCU.

6 THE WITNESS: I don't know of any.

7 MR. PHILLIPS: Okay. How about the standby  
8 rudder actuator?

9 THE WITNESS: We have an improvement program  
10 in place on that. And it has been committed. And it  
11 is, I can't give you a date as to when the first units  
12 will be available, but they will be coming.

13 MR. PHILLIPS: Okay, so the engineering has  
14 been completed and is the change imminent?

15 THE WITNESS: The engineering is not totally  
16 complete. It has been committed, however.

17 MR. PHILLIPS: Okay. Do you have any  
18 knowledge to whether the FAA is interested in making  
19 that change in airworthiness directive?

20 THE WITNESS: I have no certain knowledge  
21 about it. I would not suggest that it needs an AD.  
22 But we wouldn't, we would not fight an AD on the issue,  
23 either. We believe that this change will eliminate all  
24 of the questions that some people have had with respect

1 to the interaction of the standby with the rudder PCU.  
2 Testing surface will bear that out. But it clearly  
3 will eliminate the galling question.

4 MR. PHILLIPS: Do you have any concerns that  
5 galling is an issue in any of these discussions of  
6 these accidents?

7 THE WITNESS: Not of these accidents. Oops,  
8 let me back up. I understand that the levels of  
9 galling in the Colorado Springs incident, though I was  
10 not intimately involved in that investigation, and that  
11 it was a significant amount of galling. My  
12 understanding is, however, that that could not, was not  
13 sufficient, particularly with that particular unit as  
14 it was, to be involved in the incident. I have  
15 absolutely no concerns about the amount of galling that  
16 was found on 427, and we've all been, had every  
17 possible involvement in that accident.

18 MR. PHILLIPS: Has Boeing done any testing to  
19 confirm your position?

20 THE WITNESS: Not yet. But I believe that  
21 some of that is planned.

22 MR. PHILLIPS: Okay. Would you like to  
23 discuss that a little bit? Is that part of the  
24 accident investigation activities that are planned?

1 THE WITNESS: Yes, I believe were mutually  
2 responding to the need for that testing.

3 MR. PHILLIPS: Okay. And do we have an  
4 approximate timetable when we'll be able to get into  
5 that testing?

6 THE WITNESS: Yes, we have an approximate  
7 timetable. We have a schedule.

8 MR. PHILLIPS: Okay, and give us a quarter of  
9 the year, do you have any idea? End of this year?  
10 First of next?

11 THE WITNESS: Barring some difficulties with  
12 our labor unions in Seattle, which have slowed some  
13 things up, I think, I suspect that we will be in the  
14 first quarter of next year, although I would like,  
15 certainly like to see it done before then.

16 MR. PHILLIPS: And so we're close to being  
17 able to get that testing started. But it's your  
18 expectation that that testing won't provide significant  
19 new findings for the accident investigation, is that  
20 true?

21 THE WITNESS: That's my expectation. But  
22 when doing a test, one should reserve judgment until  
23 the test is completed.

1 MR. PHILLIPS: I agree.

2 Concerning the yaw damper system, have there  
3 been any engineering changes or any plan changes, or  
4 are there any changes planned for the yaw damper system  
5 in the 737?

6 THE WITNESS: Yes.

7 MR. PHILLIPS: Could you describe those?

8 THE WITNESS: No. Because it is an  
9 evaluation, a study at this point, in terms of what the  
10 change should be. And the issue here is similar to  
11 that of the standby actuator in that the yaw damper, we  
12 think, is not involve in either of these accidents in  
13 any abnormal way. In the other event, we have had  
14 enough incidents inflight with respect to the yaw  
15 damper hardovers, specifically, that we believe its  
16 reliability should be significantly improved. There  
17 are several ways to do that. And we are looking at  
18 those ways. And I do not have a schedule for that.

19 MR. PHILLIPS: Do you consider the yaw damper  
20 reliability or failures of the yaw damper a significant  
21 safety of flight item?

22 THE WITNESS: No, I do not.

23 MR. PHILLIPS: Are you aware of any damaged  
24 aircraft as a result of yaw damper failures?

1           THE WITNESS: I'm not aware of any damaged  
2 aircraft. I am aware of, I'm aware of some cases of  
3 injury to attendants before we put in this yaw damper  
4 system. The airplane, as you're well aware, is a very  
5 stable airplane in the Dutch roll mode, unlike most jet  
6 transports. So it needs not a yaw damper in order to  
7 stabilize the aircraft. That yaw damper is effectively  
8 a ride comfort unit which reduces the disturbances for  
9 the comfort of the passenger and the crew.

10           MR. PHILLIPS: To the best of your knowledge,  
11 have any of these injuries been related to yaw damper  
12 failures?

13           THE WITNESS: I don't know of any.

14           MR. PHILLIPS: Okay. And along the lines of  
15 the, I believe the critical design review team also  
16 recommended the yaw damper modification, or at least a  
17 concern --

18           THE WITNESS: In reliability, yes.

19           MR. PHILLIPS: -- reliability. Is this  
20 response partially in relationship to their concerns or  
21 did this precede the CDR?

22           THE WITNESS: I can't say that it preceded  
23 the CDR. But it was pretty close.

1 MR. PHILLIPS: Okay, so, are there any yaw  
2 damper tests planned in the near future as part of this  
3 accident investigation, or for Boeing's concerns?

4 THE WITNESS: No specific yaw damper tests.  
5 But in the tests that we will be doing, that we talked  
6 about a moment ago, they will involve the yaw damper.

7 MR. PHILLIPS: Have you ever seen a yaw  
8 damper failure or ever heard of a yaw damper failure  
9 which commands the rudder to move more than 3 degrees,  
10 if a 3 degree yaw damper is installed?

11 THE WITNESS: No, we have no data on it.

12 MR. PHILLIPS: Okay.

13 THE WITNESS: We have had a few cases where  
14 data has been provided that appeared to show such a  
15 case. But upon review, it was not the case.

16 MR. PHILLIPS: Okay. Were you here for the  
17 testimony of Ms. Anne Evans the first day?

18 THE WITNESS: Unh-hmm.

19 MR. PHILLIPS: And you're familiar with the  
20 quick access recorder program?

21 THE WITNESS: Yes.

22 MR. PHILLIPS: Do you support that effort?

23 THE WITNESS: Oh, absolutely.

1 MR. PHILLIPS: Okay.

2 THE WITNESS: In fact, I would like to see it  
3 expanded to other flight control surfaces.

4 MR. PHILLIPS: Would you like to comment on  
5 that more? We heard testimony that, I believe, that a  
6 lot of the U.S. operators don't use QAR data. Would  
7 you like to take it from there? Or do you want a  
8 question?

9 (Laughter.)

10 THE WITNESS: No, I don't care to address the  
11 issue of U.S. operators using QAR data. That's up to  
12 them. Some of our foreign customers do use them. But  
13 do, they use them for maintenance and reliability and  
14 prediction purposes. My comment about, I would like to  
15 see them used in other areas is that such measurements  
16 taken on a broad scale as these are done are similar to  
17 the measurements done by NASA on turbulence over the  
18 years, and provide data to the industry for what some  
19 of our design limits or considerations should be. So  
20 when you talk about what sort of an amplitude or  
21 authority limit we ought to be looking at on a control  
22 surface for design, clearly these kinds of data will  
23 provide us the answers for rational design approaches.

1           MR. PHILLIPS: Does Boeing Engineering  
2 currently have the capability to review QAR data and  
3 analyze it?

4           THE WITNESS: Mmm. I frankly don't know if  
5 we can reduce it or not. We certainly do flight data  
6 recorders.

7           MR. PHILLIPS: Right.

8           THE WITNESS: I'm sure, I suspect that we do.

9           MR. PHILLIPS: Okay. Is there any process  
10 there to analyze trims and components, or using QAR  
11 data?

12          THE WITNESS: Certainly. We can put QAR data  
13 results into our data bases and use them to establish  
14 trends in that sense.

15          MR. PHILLIPS: Okay. In the program that Ms.  
16 Evans described, are you familiar with the system  
17 that's in place now, the events we're looking for?

18          THE WITNESS: Yes.

19          MR. PHILLIPS: Okay. And there's been a  
20 request to add control wheel position on the QAR?  
21 Would you like to comment on that?

22          THE WITNESS: I think I just did.

23          MR. PHILLIPS: Okay. I'm getting explained  
24 to me here.

1 (Laughter.)

2 MR. PHILLIPS: You're right, you did.

3 THE WITNESS: Thank you.

4 (Laughter.)

5 MR. PHILLIPS: Moving on, I'd like to talk a  
6 little bit about the wake vortex flight testing. Did  
7 you participate in that effort?

8 THE WITNESS: I clearly did in the effort. I  
9 was not present during the testing.

10 MR. PHILLIPS: Were you responsible for  
11 providing the setup and support for that?

12 THE WITNESS: Right.

13 MR. PHILLIPS: Can you tell me how many  
14 people were involved on Boeing's behalf?

15 THE WITNESS: I can tell you precisely how  
16 many were involved in the basic test itself. That was  
17 something on the order of 28.

18 But in terms of getting ready for it, and the  
19 setting up of it and the negotiations and that,  
20 frankly, was many man months, involving quite some  
21 number of people, and a lot of phone calls with the  
22 parties and yourselves. And several disappointments,  
23 frankly. We had hoped to get that test going much  
24 sooner than we did. We had an airplane, at one point a

1 customer was willing to let us use, a new airplane.  
2 That fell apart, for good reasons. And so it was  
3 becoming a very agonizing program. We wanted it to  
4 happen, I think as much as everybody else did. And  
5 thank God for U.S. Air coming through and providing  
6 that airplane. Otherwise, I think we'd be still  
7 worrying about an airplane.

8 MR. PHILLIPS: As the Chairman stated, I  
9 believe that --

10 CHAIRMAN HALL: We were going to order one at  
11 that point, but --

12 THE WITNESS: We'd have sold it to you.

13 (Laughter.)

14 MR. PHILLIPS: But Boeing was in the process  
15 of trying to acquire an aircraft for us when U.S. Air  
16 provided the airplane to us?

17 THE WITNESS: Yes.

18 MR. PHILLIPS: And we had several starts and  
19 stops, during that process, right?

20 THE WITNESS: Right.

21 MR. PHILLIPS: During that flight test, well,  
22 first of all, I'd like to ask, did you consider the  
23 flight test effort, did it generate the kind of data  
24 you expected or needed to do your work?

1           THE WITNESS: I have to say yes. Time will  
2 tell on that. But, yes, I'm sure that it will, or that  
3 it has.

4           MR. PHILLIPS: We've heard some discussion  
5 the last couple of days about directional versus  
6 lateral control. And specifically about certification  
7 basis issues along the lines of, does the certification  
8 basis guarantee that we have safe aircraft. Do you  
9 have any general comments along those lines?

10          THE WITNESS: Very general, because I think  
11 Mr. Kerrigan covered most of them, and others. Yes, I  
12 think the certification basis does provide a safe  
13 aircraft, certified at the basis as it is satisfied.  
14 And I believe that the history of the airplane  
15 substantiates that.

16          MR. PHILLIPS: Okay. Do you believe that a  
17 more stringent certification basis, if it was applied  
18 to the airplane today, would result in significant  
19 design changes to the directional control system?

20          THE WITNESS: No. I don't think that it  
21 would. It would provide, it would require significant  
22 more paper and reports and analyses to be generated.  
23 And it is possible that in that generation that  
24 something could come out. But I really don't think so.

1 MR. PHILLIPS: Okay. Moving along to roll  
2 events that's been discussed occasionally this week, I  
3 understand that Boeing has put together a roll team?

4 THE WITNESS: Yes.

5 MR. PHILLIPS: And could you tell us what  
6 that is?

7 THE WITNESS: Yes. Actually, I have a  
8 presentation, would you like me to do it at this point?

9 MR. PHILLIPS: If you'd like to.

10 THE WITNESS: Although I must say that my  
11 thunder has been all stolen.

12 (Laughter.)

13 MR. PHILLIPS: I believe we're talking about  
14 Exhibit 9X-L?

15 THE WITNESS: Yes.

16 MR. PHILLIPS: Okay. Mr. McGrew, as part of  
17 this discussion, are you going to tell us about the  
18 formation of the team, the foundation and things like  
19 that?

20 THE WITNESS: Yes. But apparently, I'm the  
21 only one with the viewgraphs.

22 (Slide shown.)

23 THE WITNESS: This roll team was started in,  
24 actually we started considering it in late August. And

1 it was established about the second week in September,  
2 and charged with a mission which we'll show you here.

3 (Slide shown.)

4 THE WITNESS: We became very concerned that  
5 some of our customers were having roll incidents, and  
6 incidents that, the cause for which was not discernible  
7 upon inspection and testing of the airplane. We  
8 supported the customers with service engineering and  
9 engineering help to review this. But in a number of  
10 cases, there were no faults found in the mechanical  
11 systems of the airplane. That is not a usual event.  
12 And so we decided that the proper thing to do was  
13 establish a team of specialists to review all aspects  
14 of these roll events.

15 (Slide shown.)

16 THE WITNESS: And this is the team charter to  
17 establish the root cause of the unexpected roll events  
18 being experienced by the fleet, and the expected  
19 deliverables were the probable root causes of them in  
20 the supporting fleet and Boeing data. There were some  
21 other items they were asked to do as well.

22 (Slide shown.)

23 THE WITNESS: As part of this exercise, we  
24 have looked at some of the RS, or ASRS, aviation safety

1 reporting system data, to see if anything was out of  
2 line greatly. And this chart describes anomalies over  
3 the last, I believe, of roughly eight years. Let's  
4 see, 1987 to the mid-1995 period. And you can see that  
5 color, that bar down there toward the bottom called  
6 loss of aircraft control is the one that we were  
7 concerned with. In this case, we think that loss of  
8 aircraft control means an uncommanded or a perceived  
9 uncommanded event in the aircraft.

10 (Slide shown.)

11 THE WITNESS: That bar is broken down into a  
12 wider distribution. And you see the number one  
13 candidate within that group of incidents, a total of  
14 the whole of those is 297, it says aircraft wake  
15 turbulence. And it stands out rather far above severe  
16 weather turbulence.

17 (Slide shown.)

18 THE WITNESS: So what we did was with the  
19 flight data recorder data that we had of a number of  
20 events, we began a, and we began two things  
21 effectively. One was reviewing all of the events  
22 themselves that we had data for at the time. And the  
23 other was starting back through another analysis of the  
24 airplane systems in this case, particularly the roll or

1 lateral systems of the aircraft, seeking for failures  
2 which we could show or the data would show were common  
3 cause or probable cause for these events. That went  
4 on, the team's charter was for four weeks. They  
5 actually went, oh, about eight weeks. And somewhere  
6 around the sixth week or so, they started seeing a  
7 pattern in the data. And at that time, decided they  
8 had found something significant and put the package  
9 that you're going to see together.

10 Now, this precedes that, and these are Boeing  
11 conclusions. And airplanes and all data other than the  
12 date has been taken off. But we grouped that set of, I  
13 believe it's seven events in recent wake turbulence  
14 events, as wake turbulence events. We had a set of  
15 previous data, as you can see, going back to earlier in  
16 1995 and clear back to 1993, which we were very certain  
17 were wake turbulence events.

18 We also knew, of course, that a number of the  
19 roll events that have occurred in service were caused  
20 by normal mechanical wearing out, and/or related  
21 reasons. And those we put in a known equipment faults  
22 category. And we had a few operational events where we  
23 understood, or think we understand, the event. And we  
24 grouped those in the known operational events.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           There are a number of events that they're  
2 still working on now, and will decide upon as time goes  
3 on. Next chart, please.

4           MR. PHILLIPS: Jean, before we go on, could I  
5 ask about this list, if we have any of the blue water  
6 events included in there?

7           THE WITNESS: Yes. The blue water events are  
8 all in there.

9           MR. PHILLIPS: Okay. Can you point to any of  
10 them or pick them out? We don't need all of them, but  
11 just as an example.

12          THE WITNESS: Well, let's see, 6/26. The  
13 June 26th one is, and I believe -- the 18th? Okay,  
14 July 25th, then.

15          MR. PHILLIPS: July 25th, number 13?

16          THE WITNESS: No, that can't be right, which  
17 one?

18          MR. PHILLIPS: Number 15, yaw damper?

19          THE WITNESS: No, it has to be in one of the  
20 top ones, 18th, perhaps. Yes.

21          MR. PHILLIPS: Eighteen August, number 15,  
22 then.

23          THE WITNESS: July 18th. They must be in the  
24 first group there called recent wake turbulence events.

1 MR. PHILLIPS: Okay, so --

2 THE WITNESS: They must be number six and  
3 number seven.

4 MR. PHILLIPS: Okay, so if I understand what  
5 you're saying, then, there may be some confusion, but I  
6 guess we really can't say absolutely those are wake  
7 turbulence events?

8 THE WITNESS: Well, we think they are. We're  
9 going to show you why we think they are.

10 MR. PHILLIPS: Okay, but this could be  
11 subject to change with more data?

12 THE WITNESS: Yes. And as you realize, John,  
13 when Kerrigan was here, was questioning whether at  
14 least one of those events which is included in this is  
15 indeed a wake turbulence event. And I'm not here to  
16 debate the subject. But we will go back and review  
17 them.

18 What I'm going to do is show you why we think  
19 it may be possible to discern or distinguish a roll  
20 event caused by wake turbulence versus a mechanical  
21 failure in the air frame itself, or some other induced  
22 failure.

23 Yes?

1           CHAIRMAN HALL: Mr. McGrew, you are aware,  
2 are you not, that the NTSB is investigating some of  
3 these incidents as part of the investigation, and I  
4 believe we pulled the flight data recorders and --

5           THE WITNESS: Yes.

6           CHAIRMAN HALL: Were we aware of your  
7 activity on this roll team?

8           THE WITNESS: I think so, but I'm frankly not  
9 sure. You were not a party of it.

10          CHAIRMAN HALL: Were we aware, Mr. Haueter?

11          MR. HAUETER: Not until the beginning of this  
12 week, sir.

13          CHAIRMAN HALL: Is this something, Mr.  
14 McGrew, you think we should have been aware of?

15          THE WITNESS: You should be made aware of it,  
16 yes. This basically, though, I would view as the  
17 normal investigation that we go through with a customer  
18 when a customer or customers are having a difficulty.  
19 And we work together to try to resolve it. We do not  
20 see --

21          CHAIRMAN HALL: Well, with the exception that  
22 these, this work is related to a customer concern that  
23 probably, in some way grew out of the two accidents of  
24 Colorado Springs and Pittsburgh, which the Board has

1 been investigating, I would just ask that if you're  
2 going to be doing work on the 737 that impacts on this  
3 investigation that you try to be sure Mr. Haueter and  
4 the NTSB is aware of it. You can do what you want to,  
5 but as a courtesy, and being sure that we can represent  
6 to the public that everything is being done, I sure  
7 would appreciate it if you could be sure that in the  
8 future, that's just a request on my part, that we're  
9 not discussing items from your perspective that we're  
10 also investigating ourselves.

11 Please proceed.

12 THE WITNESS: Thank you.

13 Let's go on to the next chart, please.

14 (Slide shown.)

15 THE WITNESS: What we're going to do now is  
16 show you a sequence of flight data recorder traces that  
17 have been placed on the charts, very specially so that  
18 we could observe similarities and differences in the  
19 events. First one should be number 8, or 6. Yes, this  
20 just is the guide for the charts. So if you'd move to  
21 number 6, please.

22 (Slide shown.)

23 THE WITNESS: I must tell you frankly that we  
24 never considered this as part of an accident related

1 event. We were looking purely for failure or the  
2 reason for failures or the reason for events in  
3 service. And so what we did, and if you would slide it  
4 up, well, I guess you can. Yes, you need to slide it  
5 up some, Rick, that's fine.

6           What you're looking at here then is three  
7 channels of flight data recorders taken from three  
8 different events. The solid black line that you see is  
9 measured data from the wake flight test, the vortex  
10 flight test that happened recently. The bottom green  
11 line is data from a certification test of a hardover,  
12 aileron hardover, in a 737-300. And the red line in  
13 this chart is from an in-service uncommanded roll event  
14 that an operator reported to us, and to the NTSB. As a  
15 matter of fact, of course, we get the data from the  
16 NTSB on these.

17           And there are some signatures we need to look  
18 at, and there are some explanations I need to make.  
19 First of all, all of the airplanes, the events that  
20 occurred here, did not roll in the same direction.  
21 Some were left and some were right. So just for  
22 comparison purposes, we have plotted those, we have  
23 turned over those which went this way and plotted them  
24 that way so that you could see the characteristic shape

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 and time history. It doesn't destroy or modify the  
2 data in any way, but it does give us a way to compare.  
3 The speed, these are the speed traces in air speed.  
4 Air speed varies significantly, but we've normalized it  
5 so we can see the perturbations of air speed as a  
6 function of time. And down here, we have the normal  
7 load factor as measured in the airplane, as a function  
8 of time. And that is properly phased or properly  
9 oriented, it's not been turned over as such.

10 Now, what we want to point out in this  
11 particular chart is first of all that both -- no, let's  
12 start with the autopilot hardover. That is the green  
13 trace. You see that it is a relatively smooth trace  
14 without any large significant deviations, though there  
15 are some small ones. Both the black and the red trace  
16 show that these, we're calling them speed bumps in  
17 here, those are similar to the speed bumps that were  
18 seen in 427. So in that extent, we certainly are  
19 related to the accident.

20 If we go down to this trace, where we're  
21 looking at roll attitude, we see that the green trace  
22 which is a hardover, and this was electronically  
23 induced in the flight test, so that the aileron would  
24 go to its full autopilot authority, and then the pilot

1 would count four seconds, and then take control of the  
2 airplane. These other events, the wake vortex, which  
3 is what the wake vortex gave us in roll, and of course,  
4 the uncommanded roll was that one. The other thing we  
5 noticed down here, and we'll come back to that in a  
6 minute, is that the green trace, which is the hardover  
7 trace, shows very little activity in normal load  
8 factor. There is out here, following the roll, of  
9 course, some increase as the aircraft banks and comes  
10 out of the maneuver. Here there is some significant  
11 load factor for an activity. But out here in the roll  
12 period, this area here, we see significant load factor,  
13 the incremental load factor changes. Up here we see  
14 that the roll from the hardover tends to be quite  
15 linear in nature and then recovery, where those which  
16 are the other rolls, tend to be convex and then move  
17 out and the pilot interacts at some point in here, and  
18 they proceed on.

19 I must point out in all of these data that  
20 we're going to show you here that the pilots took  
21 timely and correct action in that they immediately took  
22 command of the airplane when the event occurred and  
23 maneuvered it out of that event in a good fashion. So  
24 what we're going to do now is just go through a series

1 of these and show you that we have, we think we have  
2 developed a relatively good correlation between wake  
3 turbulence events and the dissimilarity with mechanical  
4 failure events.

5 So if we could have the next one, please.

6 (Slide shown.)

7 THE WITNESS: I apologize to those who stayed  
8 up late tonight, we may put you to sleep with this one.

9 Again, now, let's see, can we go back for  
10 just a second to the one before?

11 To give you a feeling of the sensitivity of  
12 this issue, the red one shown here was an event in July  
13 26th, and the comment by the crew afterwards of that  
14 event was, aircraft felt out of control, very mushy,  
15 didn't think they could control the aircraft. So these  
16 are significant events to the crew.

17 (Slide shown.)

18 THE WITNESS: This next one again is the wake  
19 flight test, an in-service uncommanded roll and the  
20 autopilot hardover. And you can see that the  
21 signatures in load factor are extreme in terms of  
22 incremental load factor, and do not look anything like  
23 the hardover case. We still have our speed bumps up at  
24 the top in the flight speed. And we still have the

1 characteristic convex shapes as we enter the events  
2 themselves, which are different than the mechanical  
3 case.

4 (Slide shown.)

5 THE WITNESS: This event occurred on descent,  
6 by the way.

7 This next event is a little different. Here  
8 we're making a somewhat different comparison, if you'll  
9 pull it down, please, Rick. Now we still have our  
10 autopilot hardover roll. And we have our in-service  
11 uncommanded roll. But we have put up in the black now  
12 an in-service wake encounter which happened back in  
13 1994, and was determined to be a wake encounter. And  
14 we again see, we have the characteristic speed bumps,  
15 and we have the characteristic roll-off at the start of  
16 the roll, and we have significant load factor events at  
17 the, near the peaks of the roll.

18 (Slide shown.)

19 THE WITNESS: This next one is another in-  
20 service wake encounter, in black, which occurred in  
21 1994. And we see its characteristic speed bumps. It  
22 is compared to the same in-service uncommanded roll as  
23 we saw before, which was on descent. And we can see  
24 the wake, or the in-service encounter here has a sample

1 rate which is lower than we had off the vortex testing,  
2 but does have the same general characteristics. And we  
3 have the significant load factor perturbations, unlike  
4 the mechanical failure.

5 (Slide shown.)

6 THE WITNESS: We're back to the wake vortex  
7 test comparison again, and an in-service event. In  
8 this particular in-service event, which occurred on  
9 approach in August of 1995, the comment was, the crew  
10 were very startled by the roll rate. And again, you  
11 can see the significant perturbations in load factor as  
12 the event occurs.

13 (Slide shown.)

14 THE WITNESS: The next event again compares  
15 the wake flight test and the autopilot hardover, and  
16 the in-service condition happened on descent, in  
17 August. And again, we see all of the significant  
18 similarities in the roll and the similarities in the  
19 load factor response and the significant speed bumps.

20 (Slide shown.)

21 THE WITNESS: In the next one, again we have  
22 the wake flight test, an in-service case and the  
23 autopilot. In the in-service case, this was also a  
24 descent. And this one, the pilot's comment was that it

1 threw the flight attendant to the floor and scared the  
2 flight crew, more like a barrel roll. So it clearly  
3 was a very significant roll event to the crew. And  
4 again, we see the similarities that I've been  
5 describing.

6           So I won't go any further. There are a  
7 number of the others in here. And I'm happy to see  
8 everybody is still awake. But we think that several  
9 things have come out of this. One is that we have  
10 possibly or probably developed a process by which the  
11 airplane can distinguish between an in-service event  
12 that is caused by a failure and that which is caused by  
13 the airplane going through some significant wake  
14 turbulence. We think that can lead to maintenance of  
15 aircraft or improvement of maintenance of aircraft and  
16 not require aircraft to be on the ground for any length  
17 of time. We also think that this data indicates that  
18 the crews are behaving well and properly in these  
19 events, and that is something that we are very pleased  
20 to see.

21           CHAIRMAN HALL: Is our sound man out in the  
22 hall? Just come up here, Greg, and ask the question.  
23 Oh, here he comes.

1           MR. PHILLIPS: I wanted to ask, thank you  
2 very much for that description. I wanted to ask,  
3 related to that description, are you working with any  
4 operators specifically to provide data to you as part  
5 of this roll team event reporting?

6           THE WITNESS: Yes.

7           MR. PHILLIPS: Is it one or two or five?

8           THE WITNESS: Well, it's been one  
9 specifically, and several others know about it.

10          MR. PHILLIPS: Is there any effort to  
11 continue this effort and coordinate it into a bigger  
12 program with more operators?

13          THE WITNESS: That is my understanding.

14          MR. PHILLIPS: Okay. Another request I'd  
15 like to make is that as this event summary evolves and  
16 it's modified, as we learn more, the Safety Board would  
17 like to be provided updates of this summary.

18                 I don't think I have anything else at this  
19 time. Mr. Jacky does have a couple of questions. I'll  
20 pass it to him.

21          MR. JACKY: Mr. McGrew, if I could ask you to  
22 please reference Exhibit 13X-L, please, page number 12.

23                 This is again the recommendation that the NTSB has  
24 made to the FAA regarding additional flight data

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 recorder parameters added to the Boeing 737 airplanes.

2 THE WITNESS: I have it.

3 MR. JACKY: Okay. I was wondering if Boeing  
4 has had any sort of reaction to this recommendation in  
5 terms of service bulletins or anything?

6 THE WITNESS: Yes. Boeing has developed two  
7 service bulletins for retrofitting the 737 fleet, both  
8 for the 100s and 200s, and -- 200s, I think. I'm not  
9 sure about the 100s. And the 300s, 400s and 500s. And  
10 there have been aircraft through some of the  
11 maintenance stations that have both validated and  
12 incorporated those service bulletins in them. So we  
13 are supporting the effort.

14 MR. JACKY: Are you aware of any discussion  
15 within the Boeing Corporation of the addition of a  
16 portion or portions of this recommendation?

17 THE WITNESS: Portion or portions?

18 MR. JACKY: Specifically the rudder and  
19 rudder pedal.

20 THE WITNESS: Oh. Yes.

21 MR. JACKY: Have you done any sort of support  
22 to either the FAA's ARAC committee or to the ATA in  
23 regard to this recommendation?

1 THE WITNESS: Yes, we have provided data.

2 MR. JACKY: Does the service bulletin,  
3 bulletins that you have put out give any sort of  
4 estimation as to the number of man hours that it would  
5 take to install these types of sensors?

6 THE WITNESS: Yes, they do.

7 MR. JACKY: Okay. We've had some  
8 conversation in the last couple days regarding a visit  
9 to the TramCo Company regarding these types of times,  
10 or the time for the installation of these sensors. Do  
11 you have any sort of comment as to the comparison  
12 between the times listed in your service bulletins and  
13 the times come up in the TramCo visit?

14 THE WITNESS: A comparison?

15 MR. JACKY: Yes. How did the numbers that  
16 were estimated during this TramCo visit compare to the  
17 service bulletin times?

18 THE WITNESS: I do not know the answer to  
19 that.

20 MR. JACKY: Okay. The airplane that was used  
21 for the flight test, that was provided by U.S. Air, had  
22 the addition of control wheel, control column and  
23 rudder pedal sensors added to the flight data recorder  
24 on that airplane.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 THE WITNESS: Yes.

2 MR. JACKY: Do you know if -- let me take  
3 that back.

4 Do you know if the times that it took to  
5 install those sensors compare to the times on the  
6 service bulletin by Boeing?

7 THE WITNESS: No, I do not.

8 MR. JACKY: Is there some way that we could  
9 be provided with those?

10 THE WITNESS: Yes, there is. And we'll so  
11 note.

12 MR. JACKY: Okay. And on the airplane that  
13 is going to be used for some of the future service, or  
14 I'm sorry, the future systems tests, have there been  
15 any sensor installations put onto that airplane as far  
16 as rudder or rudder pedal?

17 THE WITNESS: I don't know what the status on  
18 that is, since I was off for a month. But there will  
19 be.

20 MR. JACKY: Okay.

21 THE WITNESS: They will not likely be,  
22 though, the service bulletin type installations.

23 MR. JACKY: That was my next question, if  
24 they're going to be just a temporary type of

1 installation --

2 THE WITNESS: Yes.

3 MR. JACKY: -- or a -- okay.

4 Do you have any knowledge about the proposed  
5 parameter list that would be included on the next  
6 generation of 737 airplanes?

7 THE WITNESS: Yes, I have seen the lists.

8 MR. JACKY: Okay. Do you know if that list  
9 includes both input and output parameters on the three  
10 control positions?

11 THE WITNESS: Yes.

12 MR. JACKY: Okay. Do you know if the  
13 parameter list will include rudder pedal force?

14 THE WITNESS: I should, but frankly, I would  
15 have to go look it up to answer the question. so I'll  
16 say no, I don't know at this point.

17 MR. JACKY: Would there be any consideration  
18 to do that, to add that parameter?

19 THE WITNESS: I'm sure there will be.

20 MR. JACKY: Okay. I have no further  
21 questions.

22 CHAIRMAN HALL: Very well. Mr. Haueter?

23 MR. HAUETER: Just a few.

1           Going to the list of recent events involving  
2 the 737, it's Exhibit 13X-C, you may not need it, but  
3 the majority appear to be called yaw damper events.  
4 One of my questions is, are those due to a malfunction  
5 back in the PCU portion of the yaw damper or in the yaw  
6 damper coupler in the electronics bay?

7           THE WITNESS: I do not know specifically  
8 without going through and looking at it, or looking it  
9 up. I can tell you that by and large, the coupler is,  
10 or in our review in the last year, turns out to be  
11 about 70 percent of the events. So I think I could  
12 answer your question without looking.

13          MR. HAUETER: Okay. And you're taking  
14 actions in terms of the coupler itself?

15          THE WITNESS: Yes.

16          MR. HAUETER: Some of the other events  
17 involving uncommanded rolls, are you taking similar  
18 actions in terms of those events, from an engineering  
19 standpoint?

20          THE WITNESS: Well, we're looking at them to  
21 see what the significance is and what's causing them.  
22 We did one interesting study, the roll team did one  
23 additional, an interesting additional study, in that  
24 they compared the number of events attributed to the

1 lateral system to the number of failure events related  
2 to the pitch system. And since in the 737, the pitch  
3 system and the lateral system are very, very similar in  
4 terms of actuators and actuation mechanisms and so on,  
5 one would expect a failure rate that was about the  
6 same.

7 Surprisingly enough, and this was a clue,  
8 it's about four to one. In other words, there are four  
9 more lateral events associated with the system than  
10 there are with the vertical systems. Yet they are the  
11 same. Their implication is, what that set of numbers  
12 is what drove them to maybe there is some other cause  
13 to these events. And that led them into this wake  
14 encounter scenario.

15 MR. HAUETER: Okay. In several of the events  
16 we've looked at, there's been the finding of blue water  
17 in the EB or electronics bay of the aircraft.

18 THE WITNESS: Yes.

19 MR. HAUETER: Is Boeing taking any action  
20 regarding trying to prevent fluid contamination into  
21 the electronics?

22 THE WITNESS: Yes. Boeing has taken actions  
23 over the years as the airplane has developed, and the  
24 current configuration, as delivered today, is

1 significantly more protective than earlier versions of  
2 the airplane. And there are service bulletins out  
3 there, available to the operators, that do bring up  
4 airplanes that were not delivered in those  
5 configurations to that standard or very nearly that  
6 standard.

7           But I must also tell you that in Boeing's  
8 view today that blue ice events that we had do not  
9 exhibit, or the components do not exhibit sufficient  
10 conductivity to have been the cause of those events.  
11 I'm not sure if that's shared by all of the operators.

12       But we think that this is extremely unlikely that blue  
13 ice was involved in any of the electrical faults  
14 associated, or that were thought to be associated with  
15 that.

16           MR. HAUETER: Yes, I was going to say, do you  
17 have any data to support that finding?

18           THE WITNESS: Yes.

19           MR. HAUETER: Could you provide that to the  
20 Board?

21           THE WITNESS: The answer is yes. Have we not  
22 done that? Both. I mean, yes, we certainly can. The  
23 question is, did we? No, we have not.

1           MR. HAUETER:    Okay, we'd like to have that,  
2 in terms of the data you have on it.

3           Changing a bit, going to Exhibit 9X-A, this  
4 is on the critical design review team, and once again I  
5 can read it to you if you don't want to look it up.

6           THE WITNESS:    Okay.

7           MR. HAUETER:    On page 41, the prelude to  
8 recommendation number 9, a lateral control, the team  
9 says there are potential single failures and  
10 combinations of latent and single failures that can  
11 cause a hardover or jam of the rudder at its limit  
12 deflection.    Would you agree with that statement?

13          THE WITNESS:    That a combination could do  
14 that?

15          MR. HAUETER:    It says single failures or a  
16 combinations, and combinations, I'm sorry.

17          THE WITNESS:    In a theoretical sense, I would  
18 agree with that.

19          MR. HAUETER:    Okay.    Do you have any ideas  
20 what those events might be in terms of theoretical  
21 failures or combinations thereof?

22          THE WITNESS:    I think that they are all  
23 listed in the CDR.    I think that what is missing is the  
24 combination or the probabilities associated with those

1 events happening, which is what drives us to whether  
2 the situation or circumstances are satisfactory as is  
3 or not.

4 MR. HAUETER: Okay. I guess, the bottom of  
5 recommendation number 9, where they said be proven by  
6 probably the most rigorous means possible.

7 THE WITNESS: Right.

8 MR. HAUETER: How would you describe those  
9 rigorous means?

10 THE WITNESS: My understanding of it is, and  
11 I'm not an expert in that part of the process, by any  
12 means, is that it is an analysis procedure which uses  
13 verified data to establish the relative probabilities,  
14 and that the fault tree is put together in a logical,  
15 rational and correct fashion.

16 MR. HAUETER: Would you use test data besides  
17 just analyses?

18 THE WITNESS: Both.

19 MR. HAUETER: Both?

20 THE WITNESS: Well, and experience data from  
21 the service history of the airplane as well.

22 MR. HAUETER: Okay, thank you, sir.

23 CHAIRMAN HALL: No additional questions from  
24 the technical panel?

1 MR. HAUETER: Actually, I have one more. I'm  
2 sorry.

3 CHAIRMAN HALL: Go right ahead.

4 MR. HAUETER: I'm sorry, let me go back one  
5 more.

6 In your opinion, you've got many years, I  
7 know, experience on the aircraft, I mean, not the  
8 aircraft, but the aviation industry, when the 737 was  
9 upgraded, if you will, to the -300 series, in your  
10 opinion, should they have changed the certification  
11 basis of the aircraft and gone through it completely to  
12 take a look at it, the same as the 757-600?

13 THE WITNESS: No. I think that those  
14 decisions have to be based upon the history of the  
15 airplane and what the company can substantiate as its  
16 satisfaction of the regulations and its safety by and  
17 large. So I think that that should not be an automatic  
18 consideration.

19 MR. HAUETER: You don't believe over a period  
20 of years there should be an effort to bring all the  
21 aircraft up to a similar level of certification basis?

22 THE WITNESS: No, I don't. Not unless, not  
23 unless it is shown, the aircraft's experience shows, or  
24 analysis and recurrent, regular re-evaluation of the

1 airplane shows it is needed. If you -- I like  
2 analogies. If you buy a toy wagon for your child, and  
3 it wears well and is still usable and workable when  
4 he's your age and has a child, should you go out and  
5 refit it again? It's perfectly functional and works,  
6 nothing wrong with it.

7 MR. HAUETER: I guess, using your analogy, we  
8 wouldn't put airbags in cars nowadays.

9 THE WITNESS: I think now we get into the  
10 arguing of this relative safety statistics of the  
11 automobile versus the airplane. And I think you'll  
12 lose.

13 MR. HAUETER: Well, I'm just saying, the  
14 technology improves, and we have the capability, why  
15 not do it?

16 THE WITNESS: Because you base the doing on  
17 the requirements for additional safety.

18 MR. HAUETER: I think that was the reason  
19 they put the airbags in. I'll stop now.

20 THE WITNESS: I agree. There was a good  
21 reason to put airbags in. There is a good reason.

22 MR. HAUETER: Thank you.

23 CHAIRMAN HALL: Questions from the parties?  
24 I see the hand of the FAA, the Air Line Pilots

1 Association and the Boeing Commercial Airplane Group.

2 Mr. Donner?

3 MR. DONNER: Just a couple, sir.

4 Mr. McGrew, I believe earlier you stated that  
5 a recommendation concerning enhanced flight crew  
6 training on upsets was a significant recommendation.  
7 Do you know if Boeing has made any changes in their  
8 training program?

9 THE WITNESS: I think they have not yet made  
10 any changes in their training program.

11 MR. DONNER: And then you also spoke about an  
12 improvement program on the standby PCU. Was that the  
13 installation of roller bearings?

14 THE WITNESS: Yes.

15 MR. DONNER: Are there any other aspects of  
16 that program?

17 THE WITNESS: Aspects? You mean other  
18 changes?

19 MR. DONNER: Any other changes?

20 THE WITNESS: Not that I'm aware of, no.

21 MR. DONNER: I had one more from someone at  
22 my table on your use of the phrase man months, and man  
23 hours, but I won't ask you. Thank you very much.

1 (Laughter.)

2 THE WITNESS: My apologies to the lady.

3 CHAIRMAN HALL: Captain?

4 CAPTAIN LEGROW: Thank you, Mr. Chairman.

5 Good afternoon, Mr. McGrew.

6 Just a couple of questions. First, Mr.

7 Haueter asked about some yaw damper events. I wonder

8 if you could just briefly explain to us where the 737

9 gets its yaw damper input from.

10 THE WITNESS: It comes from its electronic

11 signals.

12 CAPTAIN LEGROW: Straight input, I'm

13 referring to.

14 THE WITNESS: You mean straight input?

15 CAPTAIN LEGROW: Yes.

16 THE WITNESS: From a rate gyro in the

17 electronics bay.

18 CAPTAIN LEGROW: Are you familiar with the

19 757, 767 and 777 yaw dampers?

20 THE WITNESS: No, I'm not.

21 CAPTAIN LEGROW: So you couldn't speak to

22 where they get theirs?

23 THE WITNESS: No, I could not.

1           CAPTAIN LEGROW: Is it possible, or would it  
2 be possible on the 737 to get it from the IRU?

3           THE WITNESS: I believe that it may be  
4 possible, yes.

5           CAPTAIN LEGROW: Would that make it more  
6 stable, in your judgment?

7           THE WITNESS: I can't say.

8           CAPTAIN LEGROW: Would it make it more  
9 reliable?

10          THE WITNESS: If it could be done, it  
11 probably would.

12          CAPTAIN LEGROW: On the Exhibit 9X-L, Lima,  
13 is my understanding correct that this was an in-house  
14 Boeing -- that's the roll team, Mr. McGrew.

15          THE WITNESS: Oh, I'm sorry.

16          CAPTAIN LEGROW: That was the in-house Boeing  
17 project?

18          THE WITNESS: Yes.

19          CAPTAIN LEGROW: And none of the parties to  
20 this investigation were invited to participate, is that  
21 correct?

22          THE WITNESS: One of the parties did have a  
23 participant, yes.

1           CAPTAIN LEGROW:   And who would that have  
2 been?

3           THE WITNESS:   From U.S. Air.

4           CAPTAIN LEGROW:   U.S. Air did participate in  
5 that?

6           THE WITNESS:   Yes.

7           CAPTAIN LEGROW:   Just out of curiosity, why  
8 weren't the other parties invited?

9           THE WITNESS:   Because frankly, we didn't  
10 consider this a 427 accident investigation issue. We  
11 considered this as a fleet issue with roll events  
12 occurring that we and the airlines could not explain.  
13 And so it, frankly, it never entered anybody's mind  
14 that it was 427 accident related. It was an industry  
15 push to find out what was going on.

16          CHAIRMAN HALL:   Captain, could I ask your  
17 permission to butt in?

18          CAPTAIN LEGROW:   Certainly, Mr. Chairman.

19          CHAIRMAN HALL:   Was the blue water anything  
20 that would have been related to this investigation?

21          THE WITNESS:   It is certainly something that  
22 conceivably could be, yes.

23          CHAIRMAN HALL:   Were we aware of that before  
24 Monday of this week?

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 THE WITNESS: The blue water?

2 CHAIRMAN HALL: Urn-hmm.

3 THE WITNESS: I'm sure, yes, certainly.

4 CHAIRMAN HALL: Well, then, why weren't we  
5 all participating on the work that was being done on  
6 that?

7 THE WITNESS: I guess, Chairman, first I must  
8 express my apologies for not informing you earlier.  
9 That was my mistake. And I should have done it. But I  
10 must tell you that we probably won't tell you when we  
11 change the brand of tires that we start putting on the  
12 airplanes, either. And it probably --

13 CHAIRMAN HALL: Mr. McGrew, I want to be as  
14 pleasant and as straightforward as I can. I'm sure  
15 you're concerned about the integrity and reputation of  
16 the Boeing Commercial Airplane Group, are you not?

17 THE WITNESS: I am.

18 CHAIRMAN HALL: I'm concerned about the  
19 integrity of this investigation. And anything that is  
20 going on or is going on at the Boeing Commercial  
21 Airplane Group that may impact this investigation, I  
22 think the investigator in charge should be aware of,  
23 and if it's appropriate, the parties should participate  
24 in. This, any time we get information right before a

1 hearing on something significant like this, it concerns  
2 me more from the standpoint of public perception than  
3 anything else. And that's my responsibility, is to  
4 ensure the integrity of this investigation. And I  
5 intend to do that, and I just ask your cooperation in  
6 doing that, sir.

7 THE WITNESS: Yes, sir.

8 CHAIRMAN HALL: Please proceed, Captain.

9 CAPTAIN LEGROW: Thank you, Mr. Chairman.

10 Along these same lines, Mr. McGrew, did the  
11 U.S. Air participant that participated in this roll  
12 team know at the time that he came out to Seattle that  
13 that's what he was participating in?

14 THE WITNESS: Yes.

15 CAPTAIN LEGROW: Okay. Were you here for  
16 Captain Cox's testimony yesterday afternoon?

17 THE WITNESS: Yes, I was.

18 CAPTAIN LEGROW: Were you here when Captain  
19 Cox testified that of all the pilots on U.S. Air that  
20 were involved in these types of upsets, that he  
21 personally interviews, or one of his safety  
22 investigators interviews, did you hear that testimony?

23 THE WITNESS: Yes, I heard that.

1           CAPTAIN LEGROW:    Would it not have been  
2 helpful to contact the Air Line Pilots Association, the  
3 likes of Captain Cox, at least on the U.S. Air  
4 incidents, and I'm assuming some of these incidents  
5 were U.S. Air pilots, to get their perspective?

6           THE WITNESS:    I think it would be.

7           CAPTAIN LEGROW:    Was there any attempt from  
8 Boeing to determine on these incidents that you  
9 classify as wake turbulence incidents the proximity of  
10 other airplanes to these airplanes during these events?

11          THE WITNESS:    The team has tried to do that,  
12 and is continuing to do so.  The difficulty with that  
13 is that the radar events, or radar tracking material  
14 that you need to confirm this is not kept for a very  
15 long period of time.  And it generally is the case that  
16 by the time we get the flight data recorder or even the  
17 notification of the event, that that material is not  
18 available.  But they are continuing to try to set up a  
19 process to do that.

20          CAPTAIN LEGROW:    I suppose the FAA could help  
21 you in that area by providing the radar plots?

22          THE WITNESS:    Yes.  And we've talked to them.  
23 I might also suggest, Mr. LeGrow, that we at Boeing  
24 have offered to the parties and to the NTSB in the past

1 to please send representatives at any time to come and  
2 sit with us as we go through this investigation. We  
3 would be happy to accommodate you.

4 CAPTAIN LEGROW: Mr. McGrew, I've been the  
5 coordinator of this accident since September 8th of  
6 last year, and I have received no such communication  
7 from Boeing Airplane Company.

8 THE WITNESS: Excuse me, Mr. LeGrow, but I  
9 made that same statement sitting at the stand back in  
10 January.

11 CAPTAIN LEGROW: There was testimony  
12 yesterday from Mr. Berven, Mr. Carriker and Captain Cox  
13 about the crossover on the 737. And I think most of  
14 the testing done in Atlantic City and in Seattle, we  
15 were talking about 1 degree flap at 190 knots, or  
16 thereabouts. Is there any other flap settings that  
17 you're aware of that are critical as far as the, or  
18 crossover that is known, known air speeds?

19 THE WITNESS: I'm not an expert by any means.  
20 But my understanding is there is a crossover for every  
21 condition.

22 CAPTAIN LEGROW: Could I refer you to Exhibit  
23 13X-X, please?

1 THE WITNESS: I think I may not have that.

2 CAPTAIN LEGROW: Here.

3 THE WITNESS: All right, I have it.

4 CAPTAIN LEGROW: This letter is dated  
5 September 20th, 1991, to Mr. John Clark of the Safety  
6 Board, from Mr. Purvis of Boeing Company. And I would  
7 reference the first paragraph, in which he talks about  
8 a 10 degree flap setting at 150 knots. Are you  
9 familiar with this letter?

10 THE WITNESS: Yes, I have seen this.

11 CAPTAIN LEGROW: I just find it interesting  
12 that we have not received any information in the, at  
13 least that I'm aware of, during this investigation, and  
14 this letter is dated 1991. Could you explain that to  
15 us?

16 THE WITNESS: No. You have the letter.

17 CAPTAIN LEGROW: Is there -- could you  
18 briefly explain to us what the 737 uses to limit the  
19 rudder at various air speeds?

20 THE WITNESS: Dynamic pressure.

21 CAPTAIN LEGROW: And this is dependent upon  
22 data, is this correct?

23 THE WITNESS: Yes, it's dependent on yawing,  
24 or -- yes, side slip.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           CAPTAIN LEGROW:    If the rudder were limited  
2 to zero beta, would there be sufficient lateral control  
3 to stop the roll indicated by a fully deflected rudder?

4           THE WITNESS:    I don't understand limited by  
5 zero beta.

6           CAPTAIN LEGROW:    If you could limit it to  
7 zero beta, or zero beta values.

8           THE WITNESS:    I'm sorry, I don't know how two  
9 do that.    So I can't answer your question.

10          CAPTAIN LEGROW:    You stated before you were  
11 employed with Boeing you were with Douglas Airplane  
12 Company?

13          THE WITNESS:    Yes.

14          CAPTAIN LEGROW:    You worked on the MD-80?

15          THE WITNESS:    Yes.

16          CAPTAIN LEGROW:    Are you familiar with the  
17 MD-80 rudder limiter?

18          THE WITNESS:    I Bow that they have them.  
19 I'm not familiar with the system itself.

20          CAPTAIN LEGROW:    Do you know if it uses a  
21 blow-down, or does it have a mechanical limiter?

22          THE WITNESS:    I believe it has a mechanical  
23 limiter.    But I submit, Mr. LeGrow, that that is the  
24 MD-80 and we are here on the 737s.

1 CAPTAIN LEGROW: I understand that, sir.

2 I have no further questions, Mr. Chairman.

3 CHAIRMAN HALL: Mr. Purvis?

4 MR. PURVIS: Thank you, Mr. Chairman.

5 Good afternoon, Mr. McGrew.

6 CHAIRMAN HALL: Mr. Purvis, if you want to go  
7 last, U.S. Air would like to ask a question. Would you  
8 like them to --

9 MR. PURVIS: Yes, I would like to go last,  
10 please.

11 CHAIRMAN HALL: General?

12 GENERAL ARMSTRONG: Thank you, Mr. Chairman.

13 I apologize for the lateness. But I think there is  
14 one issue that should be clarified for the record. And  
15 that is that U.S. Air was participating and providing  
16 data on these events to Boeing and that we were  
17 simultaneously providing that same data to the NTSB.  
18 Therefore, we presumed that the NTSB was well aware  
19 that this activity was underway.

20 CHAIRMAN HALL: Thank you very much, sir.  
21 Appreciate that.

22 Mr. Purvis?

23 MR. PURVIS: Thank you, Mr. Chairman.

1           First, by way of clarification, and I think  
2 the General has just done some of that, especially on  
3 the first events, the NTSB, the first of these roll  
4 events, the NTSB was heavily involved, and including  
5 one of them was a blue ice event or blue water event,  
6 which was the Orlando event. And they had all the  
7 material on that. And then subsequently, the data has  
8 been provided.

9           For Mr. McGrew, just one question. In a  
10 number of the events that you showed through the  
11 overhead projector, on wake encounters, do you recall  
12 or do you know, did the crew perceive a higher roll  
13 rate, or, sorry, higher rolls than those that were in  
14 fact found from the flight data recorder?

15           THE WITNESS: Yes. That seems to be the  
16 consistent pattern of perceiving that they're seeing  
17 twice or better the roll rate that is actually, that  
18 the aircraft is actually experiencing.

19           MR. PURVIS: That's the only question I have.  
20 Thank you.

21           CHAIRMAN HALL: Thank you.

22           Just before we come to the front table, just  
23 an administrative announcement. Obviously we are not  
24 going to be able to conclude this morning, or this

1 afternoon, as it now is, this hearing. But we will  
2 conclude it today.

3 But I assume once we finish the questioning  
4 of Mr. McGrew, we will at that point take a lunch  
5 break, and then return for our final witness and our  
6 wrap-up. I assume, Mr. Haueter, we have this room.  
7 And whatever time it takes to be sure that we  
8 adequately do the public's business here and the  
9 business of this investigation, we're going to do. But  
10 we will proceed with the questions for Mr. McGrew from  
11 the table, then take a lunch break and return.

12 Mr. Clark?

13 MR. CLARK: Mr. McGrew, you talked earlier  
14 about yaw damper failures, and I believe you said that  
15 70 percent of the time we were looking at the coupler,  
16 and 30 percent of the time we were looking at other  
17 types of failures. Could you elaborate on that a  
18 little bit, some of the problems that may have cropped  
19 up?

20 THE WITNESS: I think we discussed this at  
21 the last hearing, as I recall. But the two other more  
22 common, or not common, but the two other failures are  
23 that a T valve or the sinker or the solenoid associated  
24 with energizing the yaw damper.

1           MR. CLARK: In some of these incidents, we  
2 see the yaw damper going hardover or behaving  
3 erratically. And I see one of the pilots talked about  
4 having a silent failure. I think that was Captain Cox.  
5 Or not a silent failure but a --

6           THE WITNESS: Passive.

7           MR. CLARK: Passive. Yaw damper quit. Does  
8 the -- what type of failure is normally associated when  
9 a coupler fails? Is there any particular type? Is it  
10 a passive failure? Does it quit? Does et go hardover,  
11 become erratic?

12          THE WITNESS: I believe that the most common  
13 failure is passive. And the reason I think that is  
14 because when you look at the maintenance records  
15 associated with yaw damper failures, there are far more  
16 maintenance records, or more records related to repairs  
17 than there events in service, you know, upsets and so  
18 on, by a big factor.

19          MR. CLARK: Okay. And for the T-valve type  
20 failure, when the T-valve is the culprit, what kind of,  
21 is that typically a passive failure or a creative  
22 rudder motion?

23          THE WITNESS: I apologize, but I don't know  
24 the answer to that.

1 MR. CLARK: Or the solenoid?

2 THE WITNESS: The solenoid is, can be either  
3 way, though.

4 MR. CLARK: Either?

5 THE WITNESS: Yes.

6 MR. CLARK: We've talked some about upgrading  
7 the flight data recorders. And you said you had two  
8 service bulletins. Is one for the earlier model  
9 Boeings and one for the later?

10 THE WITNESS: Yes.

11 MR. CLARK: Are the people that developed  
12 those service bulletins in your area, do you control  
13 their work or is that in another area?

14 THE WITNESS: No, that's really in service  
15 engineering area. But they work with the people in the  
16 project areas in the disciplines as well.

17 MR. CLARK: Okay. If we were working with  
18 your service engineers or they were making comments  
19 about how much time it took to implement a certain fix  
20 or a certain part of that, do they have the overall  
21 picture of what it takes to effect a change, time-wise,  
22 manpower-wise?

23 THE WITNESS: Yes, and in many cases, and  
24 this of course is one, we do what's called service

1 bulletin validation, which means that the engineering  
2 people, the service bulletin people and the service  
3 engineering people all go together and do the  
4 incorporation, in this case with the help of a  
5 modification facility, so that they can actually track  
6 several things, one of which of course is the time it  
7 takes to do the job. And the other is, is the service  
8 bulletin accurate and proper, is the engineering done  
9 right, what corrections need to be made before we turn  
10 it out to the industry.

11 MR. CLARK: Okay. Some of the estimates for  
12 the times that it takes to implement these service  
13 bulletins, I'm talking specifically the 737 urgent fix  
14 that we've recommended, talked about certain time  
15 delays to work through the aft lavatory, aft lavatory  
16 has to be removed, or possibly alternate means of  
17 wiring around the aft lavatory. Their estimates of  
18 time in those areas would probably be pretty  
19 reasonable?

20 THE WITNESS: I would hope so, though I must  
21 tell you frankly, over the years, it's been my  
22 experience that most airlines will tell us that they  
23 have to double the times that we tell them, which is  
24 one of the reasons we've gone to the validation

1 process. So I have to accept their numbers as good  
2 numbers.

3 MR. CLARK: Okay. What is your understanding  
4 about being able to accomplish these service bulletins  
5 on overnights or on a series of overnights or on a  
6 concurrently in a C-check without adding a significant  
7 amount of time?

8 THE WITNESS: My understanding, based on  
9 looking at the bulletins and talking to some people is  
10 that it probably cannot be done in a basic C, that it  
11 would require some additional time. And I believe  
12 that's a throughput problem in terms of sequencing work  
13 in spacing.

14 MR. CLARK: We've heard estimates that it  
15 takes two to three days to implement the service  
16 bulletin. But would it take that in addition to a C-  
17 check if they were done concurrently in your  
18 estimation?

19 THE WITNESS: I don't know the answer to  
20 that. I'm sure we can get it for you, though.

21 MR. CLARK: There's been a lot of issues  
22 raised on this flight test and crossover points and  
23 what was known when. What actions has Boeing taken at  
24 this time to address those issues that have come up?

1           THE WITNESS: We have been reviewing the  
2 data, you saw that from Mr. Kerrigan. We have talked  
3 to a number of people in terms of what the significance  
4 of the issue is. But we haven't come to any  
5 conclusions. Our basic position today is that the  
6 airplane has proved its airworthiness over the years  
7 and that this is probably not a significant item. We  
8 think that is absolutely not related to 427, the  
9 sequence that 427 went through.

10           MR. CLARK: And since that, Mr. Dellicker's  
11 work shows that there was a large rudder excursion.  
12 You still think that that's a separate issue, other  
13 than --

14           THE WITNESS: I think that, yes, there was a  
15 large rudder input. But whether that totally  
16 obstructed the control of the airplane and the  
17 controllability of the airplane is still in question.  
18 And the simulator, which I believe you have flown, I  
19 assume you have, indicates that that may be the case,  
20 that at that condition, that event, that there was  
21 sufficient wheel authority.

22           MR. CLARK: Well, from Mr. Dellicker's work,  
23 then, if the rudder went to the blow-down limit --

1 THE WITNESS: Right.

2 MR. CLARK: -- you believe the simulator  
3 today and the work going on with the flight test data  
4 indicates that there is sufficient wheel to effect a  
5 recovery?

6 THE WITNESS: Right.

7 MR. CLARK: In the areas, I believe, where in  
8 this case, we got blow at 190 knots, the indications  
9 from the flight test is that with full wheel, the  
10 airplane would continue to roll.

11 THE WITNESS: Below 190 knots.

12 MR. CLARK: How does that fit with your  
13 scenario that you could effect a recovery?

14 THE WITNESS: My scenario won't be validated  
15 or dis-validated until we do the upgrades that we need  
16 to do and recalculate Mr. Dellicker's work with these  
17 data. They are dependent very much, as you know, upon  
18 the vortex encounter and the strength of the vortex.  
19 And the analytical removal of that vortex, so that we  
20 can get back to the basic control surface motions.

21 MR. CLARK: And part of that is to try to  
22 back out the wake vortex effects and then look at the  
23 basic flight control induced aerodynamics?

1           THE WITNESS: Right. So that when you put  
2 them all together, then, you have the maneuver that we  
3 know the airplane went through.

4           MR. CLARK: And this is all going to be done  
5 within the investigation group that's, with Mr. Jacky?

6           THE WITNESS: Yes.

7           MR. CLARK: And frankly, you've seen him a  
8 lot more this last year than I have.

9           Mr. Berven raised an issue, there's been a  
10 lot of discussion on the probability areas of highly  
11 improbable. And I've heard comments about, once in the  
12 service life of an airplane. And then Mr. Berven  
13 raised the issue that that doesn't quite fit. Do you  
14 have any observations in that area, the 1 times 10 to  
15 the minus 9. When is the 737 fleet going to reach that  
16 milestone?

17          THE WITNESS: I would argue the calculation.  
18 I think I calculated it as 120 years. But I  
19 understand the principle, and I agree with the  
20 principle. Ten to the minus 9 means it's never going  
21 to happen, or not ever supposed to happen.

22          MR. CLARK: It's never going to happen, and  
23 you could go to a lower number and say that it would  
24 never happen in the service life of an airplane.

1 THE WITNESS: Yes, now you're getting into  
2 some statistical calculations.

3 MR. CLARK: Well, that's certainly not my  
4 area of expertise.

5 Okay, I have no other questions. Thank you.

6 CHAIRMAN HALL: Mr. Marx?

7 MR. MARX: I must apologize if I missed it  
8 already, but I wanted to get your feeling about the,  
9 whether you think a stuck standby rudder would be an  
10 unsafe condition?

11 THE WITNESS: No, I don't think so. Based on  
12 the analyses that we've carried out, the authority or  
13 the amplitude that that rudder would go to is of such  
14 that, since it could be overcome by the pilot, that it  
15 generally would not be considered an unsafe condition.

16 Now, I do, we do intend to test that, and we  
17 will confirm that.

18 MR. MARX: How would the pilot overcome?

19 THE WITNESS: With the pedals.

20 MR. MARX: Pedal. Are you aware of the  
21 testing that was done to substantiate anything that has  
22 to do with windup or compliance?

23 THE WITNESS: I know something about it, but  
24 I am not intimately familiar with it. I know that it

1 was done.

2 MR. MARX: Do you know -- you know that it  
3 was done. Do you know if it was done assuming that the  
4 main PCU was operational?

5 THE WITNESS: No, I don't know that. I  
6 assume that it was.

7 MR. MARX: You just assumed it was?

8 THE WITNESS: Right.

9 MR. MARX: Okay. My concern really here has  
10 to do with the standby, and whether the standby could  
11 be intentionally, unintentionally or automatically put  
12 on. And we have a condition where the shaft and  
13 bearing is stuff off of null.

14 And first of all, I would like to ask you  
15 what you would expect would happen if you had the shaft  
16 and bearing stuck off null, with pressurization onto  
17 the standby, what would happen? Would the rudder move?

18 In other words, if you had the valve in the standby  
19 situated, so that it will --

20 THE WITNESS: Yes.

21 MR. MARX: -- so that it will --

22 THE WITNESS: It's jammed. Your scenario has  
23 the valve jammed in an off center position.

1           MR. MARX: Right. Well, this would be a jam  
2 on the shaft, the bearings.

3           THE WITNESS: Oh.

4           MR. MARX: Which would be off null. In other  
5 words --

6           THE WITNESS: Could be.

7           MR. MARX: -- would you expect the rudder to  
8 move?

9           THE WITNESS: I don't know. I'm sorry to  
10 say, I would have to ask the experts.

11          MR. MARX: Do you know how the standby  
12 actuator, or the pressurization is put onto the  
13 standby? Can it be intentionally put on?

14          THE WITNESS: Yes, it can be.

15          MR. MARX: And how is that done?

16          THE WITNESS: There is a switch that allows  
17 it. Now, whether it can be put on when A and B are on,  
18 I'm not so sure.

19          MR. MARX: When the what?

20          THE WITNESS: Whether the standby can be put  
21 on while A and B systems are on, I do not know. Which  
22 is what I think you're talking about.

23          MR. MARX: Yes. That would be an  
24 intentional. Does anybody know that?

1 (No response.)

2 MR. MARX: All right. This switch that you  
3 say can be turned on, can that be unintentionally  
4 turned on, the switch?

5 THE WITNESS: I'm sue- it can be.

6 MR. MARX: How else could the standby system  
7 be activated?

8 THE WITNESS: It's automatically activated,  
9 depending on flap position and on occurrence of  
10 hydraulic failures.

11 MR. MARX: Okay. Well, my understanding is,  
12 from reading Exhibit 9X-1, and we went over that the  
13 other day, it had to do with the fact that it would  
14 automatically come on.

15 THE WITNESS: Right.

16 MR. MARX: Do you know how that is  
17 accomplished?

18 THE WITNESS: No, I do not know what the  
19 circuitry is that drives that.

20 MR. MARX: I have no further questions.

21 CHAIRMAN HALL: Mr. Schleede?

22 MR. SCHLEEDE: No questions.

23 CHAIRMAN HALL: Mr. Laynor?

1           MR. LAYNOR:    Since I had the same thing  
2 written down that Mr. Marx was talking about, I'd like  
3 to follow up on that a little bit.  I had asked Mr.  
4 Kullberg if there had been an analysis of hat the  
5 effect of a galled input shaft on the standby actuator  
6 would be if you pressurized the standby hydraulic  
7 system.  And I got the impression that there has not  
8 been any analysis.  Is that true?

9           THE WITNESS:  I don't know the answer to  
10 that, Mr. Laynor, but we will provide it to you.

11          MR. LAYNOR:  Okay.  If there has not been an  
12 analysis, I think we would also like to have an  
13 analysis.  And particularly in view of Mr. McSweeney's  
14 comments, and I think you just concurred to them, that  
15 that would be viewed as a, not as a safety of flight  
16 event.  And you know, I think that we'd better look at  
17 whether it's a safety of flight event, in the case of  
18 the standby actuators, is pressurized.

19          The other question along that line is whether  
20 you believe that the test of, the preflight tests of  
21 exercising the rudder system, is adequate to detect the  
22 effects of a galled shaft, and whether the effects of a  
23 galled shaft could be different in view of airloads on  
24 the rudder in flight, rather than on the ground.  I

1 don't know if I made myself clear, but I'm questioning  
2 the validity of the preflight test --

3 THE WITNESS: I understand.

4 MR. LAYNOR: -- to really determine that  
5 there is no problem here.

6 THE WITNESS: I can't answer your question  
7 specifically. But we certainly can provide the answer  
8 to that. And I have to presume that, however, that it  
9 will satisfactorily show that. I do know that over the  
10 service life of the airplane that the standby actuators  
11 which have had difficulties have exhibited them at one  
12 point in time and been cleared out by maintenance. I  
13 think we have no evidences of a hardover or a locked up  
14 -- no, that's not right -- of a failed standby system  
15 that seriously affected the operation of the airplane.

16 MR. LAYNOR: Okay. I think perhaps we might  
17 want to pursue that in the upcoming systems group  
18 activity.

19 THE WITNESS: Yes.

20 MR. LAYNOR: With your current thinking, I  
21 suspect you're coming out with a service bulletin with  
22 the roller bearing --

23 THE WITNESS: Right.

1           MR. LAYNOR: -- modification. Can you tell  
2 me what time frame that will take place?

3           THE WITNESS: I can only give you a broad  
4 estimate. And I suspect it will be in the next six  
5 months or so. But don't hold me to that. It could be  
6 longer. It depends upon the vendor and his abilities  
7 as well.

8           MR. LAYNOR: When the modification is  
9 available, would it be the Boeing Company's intention  
10 to encourage an airworthiness directive or to make that  
11 modification mandatory?

12          THE WITNESS: I don't think we've decided  
13 that yet. We still hold a position that the standby is  
14 not a safety of flight item as it exists today,  
15 notwithstanding the analysis that we have promised you.  
16 So we'll wait and see on that. We are doing this as  
17 an improvement, I guess, in reliability and to  
18 eliminate those concerns in the future. And since I'm  
19 talking, I must say that I believe we've all agreed in  
20 427 that the levels of galling in that unit were not  
21 significant with respect to this type of issue.

22          MR. LAYNOR: Well, I'm not sure we made  
23 exactly that analysis at this point in time.

1 Thank you, Mr. McGrew.

2 THE WITNESS: You're welcome.

3 CHAIRMAN HALL: Mr. Schleede wanted to be  
4 able to go after Mr. Laynor at one time.

5 MR. SCHLEEDE: Well, I think it may have done  
6 answered, but it didn't sink in to me. Again, it has  
7 to do with Boeing has made a determination that the  
8 galling of the standby rudder actuator is not an unsafe  
9 condition. Several people have testified. And the FAA  
10 has also said the same thing.

11 Again, in view of the unknowns that you spoke  
12 of here, and the questions about this analysis and what  
13 the possible effects are, how can you have that  
14 conclusion? Why wouldn't you reserve the drawing of  
15 that conclusion until the tests are concluded?

16 THE WITNESS: Well, since we've decided in  
17 the tests we'll do that.

18 MR. SCHLEEDE: so you --

19 THE WITNESS: Well, we've concluded that  
20 based on the evidence that we have to date, which is  
21 service history and analysis, and now we have agreed  
22 we'll do a test, so we'll substantiate that position or  
23 it will be --

1           MR. SCHLEEDE: Does your service history that  
2 you're discussing include the one event that we  
3 discussed earlier, the British Airways seized valve  
4 because of corrosion?

5           THE WITNESS: Yes, certainly. But in that  
6 particular case, the issue there wasn't a problem in  
7 flight. The issue there was if you needed the standby,  
8 you wouldn't have had it. That valve was broken off,  
9 or the ball attachment was.

10          MR. SCHLEEDE: So there would have been no  
11 operation from the standby?

12          THE WITNESS: Right. That would have been  
13 the issue in that case, not the air problem that you're  
14 talking about, I think.

15          MR. SCHLEEDE: Okay. And you have no other  
16 in-flight service history of problems with galled  
17 standby rudder actuators?

18          THE WITNESS: I think we've had indications  
19 of slightly erratic rudder, as I recall. And when they  
20 looked at it, they found galling in it and removed it.

21          Okay. And I assume you're aware that the  
22 allowable force that is in the maintenance manual for  
23 that unit is significantly below any force level that  
24 we've, anyone thinks would cause a problem, so that in

1 the maintenance operation, one would normally catch any  
2 of those anyway, or that's the intent.

3 MR. SCHLEEDE: Okay. And that's a check of  
4 the lever arm, you're talking about?

5 THE WITNESS: Yes.

6 MR. SCHLEEDE: Thank you. That's all I have,  
7 Mr. Chairman.

8 CHAIRMAN HALL: Just as a follow-up to Mr.  
9 Schleede, you say that conclusion was reached at this  
10 point on the basis of what the service history and  
11 analysis, was that it?

12 THE WITNESS: Yes.

13 CHAIRMAN HALL: Have there been any tests  
14 that Boeing conducted?

15 THE WITNESS: Not that I'm aware of. Or no,  
16 I'm sorry, there were tests of the standby unit. And  
17 there were tests done on the standby unit off of 585,  
18 as I recall. And I do not know the details of those  
19 tests themselves, other than in that I do know that the  
20 conclusion in that unit was that it did not have  
21 anything to do with a ruder input.

22 CHAIRMAN HALL: Thank you.

23 Excuse me. Well, my -- yes. My point on  
24 this, Mr. McGrew, and you are the ranking official from

1 the Boeing Commercial Airplane Group, I believe, you  
2 outrank Mr. Purvis, right? Even though he is the  
3 spokesperson?

4 THE WITNESS: I would not be so bold as to  
5 say that.

6 (Laughter.)

7 CHAIRMAN HALL: Well, let me just, since you  
8 are the ranking person, make a request to you, and I  
9 think we had this conversation in Pittsburgh. That if  
10 there's any test, if there's any analysis, if there's  
11 any information available at the Boeing Commercial  
12 Airplane Group that would assist in this investigation,  
13 if it has not been made available, and I would assume  
14 and take any representation that you have that it has  
15 been made available, that anything that has a bearing  
16 on this investigation be made available to the team.

17 I greatly appreciate the cooperation and  
18 assistance and am aware of the man hours and the  
19 resources that you, that this Boeing Commercial  
20 Airplane Group has dedicated to this investigation. I  
21 constantly have to read in the newspaper comments from  
22 some counsel in regard to this investigation that I  
23 find very upsetting. And I intend to do everything I  
24 can to be sure that we, the public confidence in the

1 National Transportation Safety Board and this party  
2 system of doing investigations, and in the work that's  
3 being done in this matter is protected. And I know you  
4 share that with me.

5           And I just do not want, because someone  
6 thought something might not be important, it would seem  
7 to me it would behoove us as we move forward in this,  
8 if it impacts the 737, I'm not saying whether it's a  
9 decision whether we should be involved or shouldn't be  
10 involved. But it's like the Holiday Inn, the best  
11 surprise is no surprise. And we would like to be  
12 informed of any information.

13           And that's -- but I appreciate your  
14 testimony, I appreciate, you know, we couldn't, it's  
15 clear that this investigation couldn't proceed without  
16 the cooperation of all the parties. And we have quite  
17 a bit left to do in this investigation. But I think  
18 we've made a lot of progress since our hearing in  
19 Pittsburgh. And a lot of that is a result of the time  
20 and effort of all the parties here and of the Boeing  
21 Commercial Airplane Group, and I appreciate that.

22           Do you have anything else, sir, that you  
23 would like to add, or any other suggestions on anything  
24 that we ought to be doing in regard to this

1 investigation?

2 THE WITNESS: Yes, sir, I do have a very few  
3 items. Of course, we talked earlier at great length,  
4 Mr. Kerrigan, about simulator updates with the vortex  
5 test data. And we concur that that is a useful and  
6 necessary thing.

7 We also agree with your systems people that  
8 some additional testing in the air frame is in order,  
9 and we intend to accomplish that, along with your and  
10 the rest of the parties' cooperation.

11 We also would suggest, however, that we do  
12 some additional work with the cockpit voice recorder.  
13 We at Boeing believe that there may be more  
14 information, more data that can be gathered from that.

15 And we would dearly like to help assist and offer our  
16 facilities along with your folks to work that problem.

17 There are several things in the data  
18 recorder, the voice recorder, that I believe deserve  
19 additional attention, not the least of which, of  
20 course, is the possibility of developing some side slip  
21 correlation that Mr. Cash showed the other day.

22 We also believe that the human factors group  
23 needs to be revitalized and perhaps expanded. We think  
24 that it ought to avail itself of what it can from the

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 training that is being considered and developed in the  
2 industry, as well as possibly delving further into the  
3 records of incidents and past accidents, as well. We  
4 feel strongly that that team has not, frankly, gotten  
5 to the bottom scenarios that it needs to do that. And  
6 we would like to help and assist in any way we can, and  
7 encourage you to help that continue.

8 And with that, I think that's my comments.

9 CHAIRMAN HALL: Mr. Haueter, your comments  
10 and responses to that? And any comments you have, sir.

11 MR. HAUETER: Okay. I wanted to clarify the  
12 record, that the tests mentioned by Mr. McGrew will be  
13 done by the systems group as part of the complete  
14 investigation, via the standby testing or the tests  
15 done with the PCU. Those are being planned and will be  
16 conducted by the systems group.

17 (Witness excused.)

18 CHAIRMAN HALL: Very well.

19 Now, we face a decision here. Do the parties  
20 want to continue with the next witness or do you want  
21 to take a break until 2:00 o'clock and come back and  
22 then finish?

23 GENERAL ARMSTRONG: Short break.

1                   CHAIRMAN HALL: Short break and continue. So  
2 why don't we look at a break of, well, why don't we  
3 come back at a quarter 'til, that will give everybody  
4 time. There were some cookies in the staff room I  
5 think we might -- the staff better hurry.

6                   (Laughter.)

7                   (Whereupon, a recess was taken.)

1           CHAIRMAN HALL: We will continue here in a  
2 moment. For the press that are still here, if there's  
3 any left, we will have a press availability. They may  
4 all be gone by the time we finish here. But if I could  
5 ask everyone to please take their seats in the  
6 audience.

7           The first thing I would like to do, before we  
8 call our last witness, is a friend to many of the  
9 individuals in this room, Joe Schwinn, who's the Deputy  
10 Director of Engineering and Air Safety for the Air Line  
11 Pilots Association, died of a heart attack this  
12 morning. There are many people here that know him and  
13 he has worked with the Board, and I would ask you to  
14 join me in a moment of silence for Joe Schwinn.

15           (Moment of silence.)

16           CHAIRMAN HALL: Thank you.

17           Mr. Purvis, you said you had something you  
18 wanted to clarify before we called the next witness.

19           MR. PURVIS: Thank you, Mr. Chairman. If I  
20 may, it has to do with Mr. McGrew's material that was  
21 presented during his testimony just concluded. And  
22 it's 9X-L, as in Lima. And on page, circle number 5,  
23 in the first grouping of that page, are five events  
24 listed under Known Past Wake Turbulence Events. And

1 one of those listed, the second item, number two, dated  
2 September 8th, 1994, it's listed as wake turbulence,  
3 now, that is the accident.

4 And we're not concluding, for the record, we  
5 are not concluding that the U.S. Air 427 was caused by  
6 wake turbulence. It does infer an initial wake  
7 encounter. And that's been well discussed here, I  
8 think.

9 CHAIRMAN HALL: Yes.

10 MR. PURVIS: Thank you.

11 CHAIRMAN HALL: Okay. That will be  
12 clarified. And you might want to -- well, it's  
13 clarified for the record.

14 All right. Our last witness is Dr. Michael  
15 M. Cohen, a research scientist with NASA-Ames Research  
16 Center, Moffett Field, California. And Dr. Cohen, we  
17 appreciate your being here. And you ought to be very  
18 upset with Dr. Brenner putting you on last.

19 (Laughter.)

20 CHAIRMAN HALL: But we appreciate you waiting  
21 around for the hearing, and we appreciate your being  
22 here. Mr. Schleede?

23 MR. SCHLEEDE: Thank you.

1 (Witness testimony continues on the next  
2 page. )

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 MALCOLM MARTIN COHEN  
2 RESEARCH SCIENTIST  
3 NASA-AMES RESEARCH CENTER

4 Whereupon,

5 MALCOLM MARTIN COHEN  
6 was called for examination and, having been duly sworn,  
7 was examined and testified as follows:

8 MR. SCHLEEDE: Dr. Cohen, please give us your  
9 full name and business address for the record.

10 THE WITNESS: Malcolm Martin Cohen, Mail Stop  
11 23011, NASA-Ames Research Center, Moffett Field,  
12 California, 94035-1000.

13 MR. SCHLEEDE: Thank you. And would you give  
14 us a brief description of your education and  
15 experiences that brings you to your present position?

16 THE WITNESS: Okay. I hold a bachelor's  
17 degree in psychology from Brandeis University, a  
18 master's in physiological psychology from the  
19 University of Pennsylvania, and a doctorate in  
20 experimental psychology from the University of  
21 Pennsylvania. I have worked for about 24 years at the  
22 Naval Air Engineering Center and Naval Air Development  
23 Center, conducting research on human spatial  
24 orientation and the effects of gee-loading on human

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 performance.

2           And then in 1982, I transferred to Ames  
3 Research Center, where I have been the Assistant Chief  
4 for the biomedical division, the Chief of the  
5 neurosciences branch, and now I'm back in the  
6 laboratory primarily as a research scientist.

7           Most of the work I've done has been involved  
8 with human spatial orientation and the effects of  
9 acceleration on spatial orientation. I'm a past  
10 president of the Aerospace Human Factors Association.  
11 I'm the current Chair of the Aerospace Medical  
12 Association, Human Factors Committee.

13           MR. SCHLEEDE: Thank you very much. Dr.  
14 Brenner will proceed.

15           DR. BRENNER: Yes, Dr. Cohen, what is human  
16 spatial orientation disorientation?

17           THE WITNESS: Human spatial orientation is  
18 the process whereby people can know how they are  
19 positioned relative to an external frame of reference,  
20 such as the Earth, such as gravity, such as the room in  
21 which they are seated or standing. And to accomplish  
22 this, the brain processes information from multiple  
23 sources. Vision is one of the sources that we use to  
24 know how walls are oriented and surrounding objects are

1 oriented with respect to the body.

2 We have a vestibular system in the inner ear  
3 which is essentially a set of accelerometers that are  
4 angular and linear accelerometers. And these receptors  
5 tell us how the body is moving with respect to an  
6 external frame of reference. Gravity, or for example,  
7 when we're stationary on Earth, gravity provides an  
8 acceleration frame of reference. And then any  
9 movements we make are relative to that.

10 In addition, most of us are seated here, and  
11 in our skin, right now on our buttocks, we feel  
12 pressure receptors that tell us where the body is  
13 oriented with respect to up and down. And there are  
14 muscle spindle receptors and a whole host of other  
15 receptors inside the body that tell us how various  
16 parts of the body are put together. All this  
17 information is integrated by the brain. And as a  
18 result of that, we get a fairly accurate notion of  
19 where we are with respect to the external frame of  
20 reference that we're interested in.

21 On Earth, it's fairly straightforward. We  
22 usually can maintain balance pretty well. We know when  
23 we're standing up and when we're lying down, because  
24 all the inputs are typically in agreement with one

1 another. Now, there are some places here on Earth  
2 where we can become disoriented. For example, there  
3 are mystery spots, places, so-called magnetic hills,  
4 places where the terrain confuses us. And so in these  
5 places it looks like a level terrain is moving up or  
6 down hill. You look at a car, there's a place called  
7 Magnetic Hill in New York where it seems to roll up  
8 hill, and it's strictly a visual illusion.

9 But generally we use vision very strongly as  
10 one of the inputs to determine our orientation. And  
11 when we have vision along with gravitational inputs,  
12 the vision frequently provides an overriding strong  
13 influence in terms of how we're oriented.

14 When you go into an aviation environment,  
15 you're no longer stationary, which means you can  
16 accelerate in any direction. The accelerations of the  
17 vehicle then produce forces that get combined with  
18 gravitational forces and give you a vector that is not  
19 necessarily straight down towards the Earth. In those  
20 cases, you can be disoriented.

21 Further, if vision is not present to override  
22 some of these confusing signals that you get, for  
23 example, if I suddenly slid to the right, I would feel  
24 pressure and I would feel my body moving with respect

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 to this chair that I'm on. And I would feel that down  
2 is now changed in its direction, because the  
3 accelerative force gets combined with gravity. And so  
4 I would make an error, if my eyes were closed, not  
5 knowing whether I were accelerated or tilted to the  
6 side, in a gravitational frame of reference.

7 DR. BRENNER: So if I understand, then,  
8 orientation problems can be more severe in an aviation  
9 situation?

10 THE WITNESS: Yes, sir.

11 DR. BRENNER: Are there cases where  
12 orientation or disorientation has been involved in  
13 accidents?

14 THE WITNESS: Yes. Historically, there's  
15 some work that goes back very clearly to 1945, where a  
16 gentleman, A.R. Collar, at the RAF Farnborough, did an  
17 analysis of dark night takeoff accidents in the  
18 Spitfires during World War II, during attempts to  
19 intercept incoming aircraft. And on dark night  
20 takeoffs, the Spitfire was a very hot aircraft, at the  
21 time, and it would be accelerating throughout its  
22 transition from roll-out until it was airborne. It  
23 would accelerate, pushing the pilot back in his seat,  
24 giving him the feeling of a nose-up attitude.

1           The pilot would continuously push forward on  
2 the stick ever so slightly, not to have too strong a  
3 nose-up attitude. He would transition from being level  
4 to being in a shallow dive and the aircraft would still  
5 be accelerating. Throughout the entire trajectory,  
6 Collar's analysis showed that the pilots felt that they  
7 were in a climb. And the vector of the acceleration of  
8 the aircraft in gravity was back towards the back of  
9 the seat, the reaction forces. Hence the nose of the  
10 aircraft was up.

11           Without an external visual reference to tell  
12 them that in fact they were coming down, the pilots  
13 would fly into the ground. And Collar analyzed the  
14 distances involved and the accelerations involved. And  
15 there was close agreement.

16           Another condition where this kind of thing  
17 has been fairly well documented, in a case that I've  
18 been involved in, was with the Navy. In the last  
19 1960s, there was a rash of A-7 catapult launch  
20 accidents. And in these cases, the A-7 off the  
21 catapult would climb up. And again the pilots  
22 apparently would fly the aircraft into the water.

23           Analysis of the trajectory suggested that the  
24 pilots always had a force pushing them back in the

1 seat. The A-7 did not have an afterburner, and was  
2 stall sensitive. And so you wanted to keep the nose  
3 down. They actually went into a shallow dive. They  
4 flew into the water about where one would expect.

5 Again, only dark night clouded conditions.  
6 These types of accidents don't happen in the day time.

7 Another, the phenomenon has been called the  
8 somatogravic illusion. Your body feels like you're in  
9 a nose-up attitude, mainly, your whole surrounding  
10 feels to you like you're climbing, and you're slightly  
11 tilted backwards. This is merely the relationship  
12 between gravitational force and the vector to your  
13 acceleration combining.

14 Another case where it's been suspect has been  
15 in the Charlotte accident of July 2nd. And the NTSB, I  
16 believe, has felt that this could be contributory to  
17 it. And in particular in that case, there was a  
18 comment, down, push it down, where, after the aircraft  
19 apparently entered a cloud, encountered turbulence, did  
20 not have external visual references, there's apparently  
21 a feeling that they were excessively nose up. And they  
22 flew, again, into the ground. So in response to your  
23 question, yes, sir.

1 DR. BRENNER: Okay.

2 (Laughter.)

3 DR. BRENNER: Thank you. Are there other  
4 types of common forms of disorientation in aviation  
5 situations? I think you mentioned --

6 THE WITNESS: I don't understand the  
7 question.

8 DR. BRENNER: Okay. I think you were talking  
9 about -- okay, then --

10 THE WITNESS: Okay, we have somatogravic  
11 illusions. There are also visual illusions that take  
12 place. In the dark, a spot of light will appear to  
13 rise as the linear gee increases. That's called the  
14 elevator illusion. And there are a host of other  
15 illusions that are due to vestibular visual conflict,  
16 vestibular somatic visual conflict. This is simply  
17 that the different senses that the brain uses to  
18 determine orientation are providing different sources  
19 of information. But again, vision frequently will  
20 override that.

21 DR. BRENNER: Okay. How did you evaluate  
22 disorientation issues in this accident, 427?

23 THE WITNESS: All right. First of all, I  
24 read the description of the accident. And I was given

1 copies of the flight data recorder and transcripts of  
2 the voice recorder. And had a chance to take a look at  
3 all these things together. Then in July, I believe it  
4 was the 11th, I had an opportunity to ride on the VMS,  
5 which, we had a simulation of the crash. And we have a  
6 viewgraph here, which provides the VMS.

7 CHAIRMAN HALL: Is our fellow with the lights  
8 still here? Bear with us a moment, and we'll get it.

9 (Slide shown.)

10 THE WITNESS: Okay, this is -- could you flip  
11 it over? It's backwards. Please. Terrific.

12 Okay, this is the VMS at Ames Research  
13 Center. It's a full 6 degree of freedom simulator that  
14 has a vertical thrust of plus and minus 30 feet,  
15 lateral thrust of plus and minus 20 feet, and a fore  
16 and aft thrust of 2.5 feet. It also has actuators that  
17 will give it pitch, roll and yaw motions. And it was  
18 used in the model that was developed by Boeing to  
19 maintain accuracy of a simulation, to the Boeing time T  
20 of 139 seconds into the incident. After that, it lost  
21 fidelity. But up until T equals 139, I understand, it  
22 was completely faithful to the conditions that were put  
23 in.

1           As with any simulator, there are limitations.  
2       If you could fly, if you could do everything in a  
3 simulator you could do in the aircraft, you could just  
4 get up and fly the simulator. Simulators are limited,  
5 you have to use washout, and various techniques to fool  
6 the pilot into thinking that he experiences what the  
7 actual aircraft does.

8           Now, there are full visual simulations on the  
9 VMS which are computer generated displays that were  
10 also put in on this simulation. So you had the  
11 external world created as well as the forces involved,  
12 up to T equals 139. And I had an opportunity to ride  
13 this with, first of all, a representative of the NTSB,  
14 and then with a pilot from ALPA, a pilot from U.S. Air,  
15 and a pilot from Boeing.

16           And during these rides, I had a chance to  
17 discuss what it was like, and to have them experience  
18 and me experience various conditions. On some cases, I  
19 closed my eyes to take it in the dark, just to see  
20 about the motion base, how it felt. In other cases, I  
21 kept my eyes open, looking out. I sat both right seat  
22 and left seat during this simulation.

23           DR. BRENNER: How many times did you run  
24 through this simulation?

1           THE WITNESS: I don't have the exact number,  
2 but it was probably on the order of 12 times, somewhere  
3 around that, because I did it multiple times with each  
4 of the four people. I don't really have the record  
5 with me.

6           DR. BRENNER: Okay. And if I understand, you  
7 did it sometimes just for motion and sometimes motion  
8 and visual, is that --

9           THE WITNESS: That's correct. And then also,  
10 in some of the later rides, we had a synthesized set of  
11 voice recordings, not the actual pilots. I never heard  
12 the actual pilots' voices, but I did hear a synthesized  
13 transcript of the voices played in at the same times  
14 that they occurred during the actual incident, or the  
15 accident.

16          DR. BRENNER: What were your impressions?

17          THE WITNESS: First, I was so surprised at  
18 how gentle it all was. I had thought that the upset  
19 would be more severe. It was a surprise, it did get my  
20 attention. But it was not a violent kind of an upset  
21 that would, if you will, make my eyeballs become  
22 uncaged or have me fail to know where I was and what my  
23 orientation was, relative to the outside world.

1           CHAIRMAN HALL: Are there going to be other  
2 slides? Excuse me, Doctor.

3           THE WITNESS: No, sir, just one.

4           CHAIRMAN HALL: Why don't we get the lights  
5 back up then, if we could.

6           DR. BRENNER: Do you believe, was it your  
7 impression that disorientation factors played a role in  
8 this scenario you saw?

9           THE WITNESS: Very strongly, no. The reasons  
10 were first of all, the clear external vision at all  
11 times being available. There was no case where I could  
12 not see the outside world. In talking with each of the  
13 pilots that rode with me, I asked them basically two  
14 questions in the course of discussions with them. And  
15 the kinds of questions I asked were, did you feel like  
16 you were disoriented, and did you know where you were.  
17 And the response was, yes, sure, all the time. I knew  
18 exactly where down was, I knew where the aircraft was.

19           The second question I asked them is, do you  
20 think you could have flown out of this. And again,  
21 each of the pilots said yes, they thought that they  
22 could. Now, I didn't ask them at what time in the  
23 evolution of this upset that they thought they could  
24 fly out of it. Because at some time, I'm sure they

1 could not.

2 But their general feeling was yes, they could  
3 fly out of it, and no, they were not disoriented. I  
4 was not disoriented at any time. And the visual scene  
5 which was somewhat degraded from an actual 737 cockpit,  
6 the 737 would have given you more visual information  
7 than that which we provided in the VMS, at no time was  
8 there a question as to where down was, where up was,  
9 with respect to the external world.

10 DR. BRENNER: Now, if the pilots lost sight  
11 of the horizon as they were in the dive, would that  
12 cause disorientation?

13 THE WITNESS: In the simulation, first of  
14 all, they did not appear to lose sight of the horizon.  
15 Okay? Second, if they did lose sight of the horizon,  
16 it would be possible that they could have been  
17 disoriented, but unlikely. Because immediately, you  
18 retain a memory of where you are for a few seconds.  
19 Now, if there was a change in where they were moving  
20 and they had a good sense of how they were moving, even  
21 if they would lose external vision for a second or so,  
22 that should not bother them.

23 DR. BRENNER: Can surprise cause  
24 disorientation?

1 THE WITNESS: Now we're talking about a  
2 slightly different meaning. Surprise or startle can  
3 cause a person to do things that he otherwise might not  
4 do. I don't regard that as disorientation. That's  
5 another phenomena. That's a startle response.

6 But in terms of knowing where you are in  
7 space, unless the surprise is a surprising stimulus of  
8 the type that you process for knowing where your  
9 orientation is, surprise per se I don't think could  
10 cause disorientation of this type.

11 DR. BRENNER: The first officer was looking  
12 out a side window to see traffic. The jet stream is  
13 calling at the time of the incident.

14 THE WITNESS: Yes.

15 DR. BRENNER: And then very possibly,  
16 probably looked forward as the upset began. Could a  
17 sudden motion of this type cause disorientation?

18 THE WITNESS: If it occurs during the upset  
19 and there is a fairly rapid head movement during a  
20 turn, yes, there can be a momentary disorientation due  
21 to cross-coupling. That is, what's happening is your  
22 semi-circular canals are in one axis as you're turning,  
23 these are the receptors in your inner ear, and now  
24 suddenly you change the axis of stimulation and semi-

1 circular canals do trigger eye movements that could for  
2 a second or so, a few seconds, cause you not to know  
3 quite where you are.

4           However, we had two pilots here. And the  
5 comment, I see the jet stream, and the time that the  
6 upset occurred, were about two seconds, or a little  
7 over two seconds apart. So it seems that if he did  
8 move his head, it probably would not have been violent.  
9 Although, again, I don't know.

10           And second, it seems that there was enough  
11 time elapsed between the comment that he was looking at  
12 the jet stream to the time that he probably was inside  
13 the cockpit with his surprise response, I guess it was,  
14 oh, sheez, that he was probably in position at that  
15 time. But again, I don't know.

16           DR. BRENNER: I think some of the thinking in  
17 the investigation is that the upset may have begun,  
18 actually, with the jet stream comment. So it may not  
19 have had that time frame. But if I understand, still,  
20 the --

21           THE WITNESS: That's possible.

22           DR. BRENNER: Okay. In the letter that you  
23 wrote to us, you said, perturbations of the flight path  
24 generally appear to have been followed by verbal

1 comments from the pilots, indicating that they were  
2 fully aware of their trajectory and that they were not  
3 able to change it. Could you discuss that?

4 THE WITNESS: All right. First of all, the  
5 pilots are fairly taciturn. There are very few  
6 comments actually made, a few picked up on the hot  
7 mike. And the initial encounter with the turbulence  
8 was one pilot's, oh, sheez, the other's, ah, and that  
9 came out immediately after there was a slight  
10 offloading of gee down to about .85 gee and back in.

11 So that comment, the later comment of, whoa,  
12 comes in after there's another change in the gee  
13 loading on the aircraft. The hang ons come in at  
14 various times where there appears to be changes in gee  
15 loading, either slip or positive gee, in the second or  
16 so preceding the comments.

17 The pilots did have external vision. They  
18 could see where they were going. It was not a question  
19 of not knowing where the plane was going. And so for  
20 that reason, I thought that the pilots are commenting  
21 about a situation. At one point there's an oh,  
22 expletive, comment, where my interpretation, and this  
23 is beyond my area of expertise, I will admit, is a  
24 recognition, oh, boy.

1 DR. BRENNER: Okay. And then once again,  
2 your conclusion in terms of the role of disorientation  
3 the Board should, in its analysis, should consider for  
4 this accident?

5 THE WITNESS: I do not believe, I strongly do  
6 not believe, that disorientation in the sense of the  
7 pilots not knowing where they were in space or relative  
8 to the Earth, played a role in this accident.

9 DR. BRENNER: Okay. Thank you, Dr. Cohen.  
10 That completes my questions, Mr. Chairman.

11 CHAIRMAN HALL: Are there questions from the  
12 technical panel? Mr. Haueter?

13 MR. HAUETER: Excuse me, Doctor. I'm way  
14 outside of my area here. But you mentioned in many of  
15 your statements about pitch events, or pilots pitching  
16 over. Do you have similar analogies or statements  
17 about yawing of the airplanes, in terms of the pilots  
18 feel?

19 THE WITNESS: I do not have that data  
20 personally available. I have not worked on that. I  
21 would imagine, yaw is, now, an angle issue. A side  
22 slip is another issue. And with a side slip, there  
23 could be a change in your appreciation of where up is.  
24 As you slip to the right, up appears, the vector

1 resolution can change. But again, with an external  
2 visual frame of reference, this shouldn't be a problem.

3 MR. HAUETER: Okay. And in your riding the  
4 event, did you believe it was startling?

5 THE WITNESS: The first time, yes, it got my  
6 attention. But it wasn't startling. It just, it got  
7 my attention. And I would imagine that some of the  
8 testimony that I heard the pilots make, when they fly  
9 through these things fairly often, once you feel it,  
10 you know that you're encountering some sort of wake  
11 turbulence, and I don't think it would be that  
12 startling.

13 But again, it's beyond my area of expertise.

14 MR. HAUETER: Thank you, sir.

15 CHAIRMAN HALL: Other questions?

16 (No response.)

17 CHAIRMAN HALL: Questions from the parties?

18 I see the hands, two hands. Mr. Purvis, with the  
19 Boeing Commercial Airplane Group.

20 MR. PURVIS: Thank you, Mr. Chairman.

21 Dr. Cohen.

22 THE WITNESS: Hello.

23 MR. PURVIS: How many hours have you spent  
24 observing commercial, and I'll repeat commercial,

1 airline crews during flight? Any?

2 THE WITNESS: Zero, sir.

3 MR. PURVIS: Have you done any papers or  
4 reports on anything to do with commercial airline crews  
5 and how they respond to unexpected upsets or the effect  
6 of upsets?

7 THE WITNESS: No, sir.

8 MR. PURVIS: Nothing?

9 THE WITNESS: Military aircraft, yes, but not  
10 civilian or commercial pilots.

11 MR. PURVIS: All right. The information that  
12 you have given, before you come to an opinion on  
13 whether commercial pilots can be affected, wouldn't you  
14 want to, you know, be either surprised or confused or  
15 affected by turbulence, wouldn't you want to observe or  
16 research the reports of commercial airline crews who  
17 have actually encountered these things?

18 THE WITNESS: Yes, sir. However, the  
19 testimony that I heard here from the pilots who say  
20 that they've flown through this have typically been,  
21 yes, it got my attention but I wasn't disoriented by  
22 it. And I was able to handle it. And again, the  
23 pilots that I flew through this simulation with also  
24 indicated they felt they could come out of it fairly

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 readily. But you're absolutely correct.

2 MR. PURVIS: Have you reviewed any of the  
3 events where the crews, like both crews, reports where  
4 it was stated both crews were startled by a rate of  
5 roll?

6 THE WITNESS: I can believe that could  
7 happen, yes.

8 MR. PURVIS: They threw the flight attendant  
9 to the floor and scared the flight crew, more like a  
10 barrel roll, I think this was mentioned here.

11 THE WITNESS: I think that could happen, yes.

12 MR. PURVIS: Have you seen these reports?

13 THE WITNESS: No, I have not.

14 MR. PURVIS: There was another one where crew  
15 was visibly shaken, aircraft felt out of control, very  
16 mushy, again, that was mentioned, a female pilot  
17 apparently, she didn't think she could control the  
18 aircraft? Do you remember those? You haven't seen  
19 those reports?

20 THE WITNESS: No, I have not. But I believe  
21 that these things could very well happen.

22 MR. PURVIS: Have you reviewed any reports by  
23 commercial airline pilots in which they have in fact  
24 misperceived or over-perceived the severity of a wake

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 upset?

2 THE WITNESS: No, sir.

3 MR. PURVIS: Have you reviewed reports by  
4 commercial airline pilots in which these pilots may  
5 have been confused, surprised or startled by upsets  
6 attributed to wake encounters?

7 THE WITNESS: No, sir. I'd like to make  
8 something clear. I was asked on this as a vestibular  
9 expert, namely, how we process vestibular information.  
10 And that was basically the basis of my testimony,  
11 namely, were the pilots disoriented by these  
12 conditions.

13 And given the ready access to external visual  
14 cues and the comments of the pilots who flew through  
15 the simulation with me, who were commercial pilots, I  
16 concluded, no, they were not disoriented. There may  
17 have been other things, that they made inappropriate  
18 inputs. I have no idea. This is beyond my area of  
19 expertise.

20 MR. PURVIS: So your opinions are limited to  
21 your expertise on disorientation, spatial  
22 disorientation resulting from vestibular or inner ear  
23 created illusions?

1 THE WITNESS: Or some aesthetic or other  
2 inputs that are using in generating a notion of where  
3 you are in space, yes.

4 MR. PURVIS: No more questions. Thank you.

5 CHAIRMAN HALL: Captain?

6 CAPTAIN LEGROW: Thank you, Mr. Chairman. I  
7 have just one question.

8 Good afternoon, Dr. Cohen.

9 THE WITNESS: Good afternoon.

10 CAPTAIN LEGROW: In your discussions with the  
11 crews of the pilots that you flew in the simulator  
12 with, you stated that at certain times during the  
13 event, the pilots, you asked the pilots if they felt  
14 they could control the airplane?

15 THE WITNESS: Yes.

16 CAPTAIN LEGROW: Was that with the assumption  
17 that they had control of the airplane over all three  
18 axes, control of all three axes?

19 THE WITNESS: I think that was the assumption  
20 that they made when I asked them, you know, could you  
21 fly, I would imagine that they assumed they had a  
22 perfectly flyable airplane to do this with.

23 CAPTAIN LEGROW: Thank you. I have no  
24 further questions.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1           CHAIRMAN HALL: Other questions from the  
2 parties? Mr. Clark?

3           MR. CLARK: There's been a few questions  
4 about surprise or startle factor. If a, one of the  
5 things we see and what's been alluded to is pilots may  
6 overestimate the magnitude of the upset. They may  
7 overestimate the bank angle. We may get a pilot report  
8 that says they banked up to 30 degrees and required 45  
9 degrees of wheel. When we read out the flight data  
10 recorder, we may see that they banked 10 degrees and  
11 had 15 degrees of wheel, something like that.

12           Is that consistent with your observations or  
13 knowledge?

14           THE WITNESS: Well, that kind of thing is not  
15 uncommon. For instance, if someone were asked, how  
16 steep is the steepest hill in San Francisco, they might  
17 judge it to be 40 degrees or so. I think the maximum  
18 slope is like 17 or 13 degrees. So we tend  
19 perceptually to overestimate changes in slopes, fairly  
20 frequently.

21           However, if you're trying to maintain wings  
22 level of trying to do something -- now I'm going beyond  
23 my expertise -- one would see how the horizon changes  
24 with respect to oneself, and would presumably have

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 sufficient visual feedback to correct that and not put  
2 yourself in a low attitude and not know it. So I think  
3 throughout you know what's happening. Even if you do  
4 overreact, you can immediately see what the result of  
5 that response is and correct it, relative to the  
6 outside world. Again, assumption on my part.

7 MR. CLARK: The fact that a pilot may not be  
8 able to accurately estimate the angles is, doesn't  
9 negate the possibility that he knows which way is up  
10 and what proper response to take?

11 THE WITNESS: Right. And also, remember,  
12 verbal reports and actual responses to maintain a null  
13 state frequently do not agree. Dr. Herschel Liebowitz  
14 did a lot of work, I think with the NTSB, in notions  
15 about judging how close a train is at an intersection.  
16 And you make errors. You know, a Boeing 747 flies a  
17 lot slower on approach than a 727 does perceptually.  
18 Of course, it doesn't really. But it looks that way.  
19 So our senses can deceive us in some ways.

20 But when you have external visual frames of  
21 reference with respect to orientation, usually we're  
22 pretty accurate.

23 MR. CLARK: And the fact that the estimates  
24 and the actual excursions doesn't mean that a pilot's

1 disoriented. Or let me ask you, would that mean  
2 they're disoriented?

3 THE WITNESS: No.

4 MR. CLARK: Thank you.

5 CHAIRMAN HALL: Mr. Marx?

6 MR. MARX: No questions.

7 CHAIRMAN HALL: Mr. Schleede?

8 MR. SCHLEEDE: Yes, sir. A couple here.

9 You gave an example here, you gave an  
10 excellent example. I want to restricted my comments to  
11 no visual reference field. Because you gave us the  
12 first examples about the pitch, the takeoff, and pilots  
13 flying into the ground. Could you give us, in that  
14 condition, with no visual reference, something in a  
15 lateral roll?

16 THE WITNESS: Well, the leans, for example,  
17 can occur, if you very slowly put a wing down at a rate  
18 below threshold, you can be flying -- suppose you had a  
19 cloud bank that is at an angle, not horizontal, but  
20 slowly sloping upward to the left. And if you assume  
21 that that cloud bank is at first, say it's the Earth.

22 So you think that the clouds are horizontal,  
23 and you gradually, at subthreshold values, bring your  
24 plane to an orientation with respect to the cloud bank.

1 You could think that you're now flying straight and  
2 level. In fact, you're with one wing down and you will  
3 probably begin gradually to bleed off and lose a little  
4 bit of altitude. So this kind of phenomena can happen.

5 In terms of a slide slip, there has been some  
6 work done in terms of judgments of the vertical, using  
7 the horizontal sled. And typically, the judgment of  
8 where the vertical changes slowly if you only had a  
9 single visual stimulus, as you slip side to side.  
10 However, with a rich visual array, the outside world as  
11 a reference, you have no problems.

12 MR. SCHLEEDE: Some of us have heard the  
13 term, graveyard spiral.

14 THE WITNESS: Yes.

15 MR. SCHLEEDE: Are you familiar with that  
16 phenomenon?

17 THE WITNESS: Yes, sir.

18 MR. SCHLEEDE: Could you explain it?

19 THE WITNESS: Not very well. I've heard the  
20 term. From what I gather, it's a continuous  
21 acceleration going downward. I really can't describe  
22 what the psychological experience of that is. I've not  
23 done any research in that area.

1           MR. SCHLEEDE:   Okay.  Again, when no visual  
2 reference, let's say a pilot's got his eyes closed or  
3 he's in a situation where he has no outside visual  
4 reference, how does the pilot sense side slip or yaw?

5           THE WITNESS:   Well, I would think he would  
6 have instruments.

7           MR. SCHLEEDE:   I'm not talking about -- if  
8 you've got your eyes closed.

9           THE WITNESS:   Oh, your eyes are closed.  You  
10 would feel it in your body and your inner ear, the  
11 vestibular organs, particularly the utricular and  
12 sacular would provide you with different shearing  
13 forces that then get processed by the brain and are  
14 interpreted as either a slide or a tilting orientation.  
15 It's a slide if it is not corroborated by vertical  
16 semi-circular canals, which are our angular  
17 accelerometers.  And so you could feel it as a slide.  
18 Or if the semi-circular canals also indicate a turn,  
19 then you could feel that your body is actually turning,  
20 with respect to down.

21           MR. SCHLEEDE:   Could a pilot react  
22 inappropriately to those sensations?

23           THE WITNESS:   I would assume so.

1           MR. SCHLEEDE: Have you done any research or  
2 tests?

3           THE WITNESS: No, sir. Wait, I take that --  
4 not on pilots. I had done some work where we would put  
5 subjects in an oscillating centrifuge and have them  
6 move laterally plus and minus about a half a gee and  
7 have them try to set a line in the dark, so that it  
8 would look to them that it was vertical.

9           And in fact, there were oscillations in the  
10 line that corresponded to the changes in the lateral  
11 forces acting on their body. So in that case, using  
12 that visual, the direction of where up and down is,  
13 that line looked to them to be vertical, and yet it  
14 would change its orientation in the roll axis. That's  
15 a single line in the dark.

16          MR. SCHLEEDE: All right, thank you very  
17 much, Dr. Cohen.

18          THE WITNESS: Yes, sir.

19          CHAIRMAN HALL: Well, Doctor, we appreciate  
20 very much your presence here. I don't know, how much  
21 of the testimony have you gotten to listen to?

22          THE WITNESS: I got in on Wednesday evening,  
23 and so I heard most of yesterday and much of today.

1           CHAIRMAN HALL: Well, good. Good. Well, we  
2 appreciate your assistance. I just wanted to ask, and  
3 I believe you heard some suggestions from Mr. McGrew in  
4 regards to some additional things we might want to look  
5 at in human factors. Are there any other individuals  
6 or work in your field that you're aware of that we  
7 should seek out in terms of assisting us with this  
8 investigation, to be sure that we have looked at all of  
9 the aspects that might impact the human in this  
10 accident sequence?

11           THE WITNESS: I can't think of anyone  
12 explicitly at the moment. However, I could pull some  
13 people at the Human Factors Committee of the Aerospace  
14 Medical Association. And I would be happy to do so,  
15 and see if there are people who feel that they would  
16 like or are capable of contributing to this, if you  
17 would like me to.

18           CHAIRMAN HALL: Well, if you would coordinate  
19 with Dr. Brenner, and with the committee, I just want  
20 to be sure we have examined everything that we can.  
21 And if there's other expertise that's available, reach  
22 out for it. So I would appreciate that.

23           Any other questions of this witness?

1 (No response.)

2 CHAIRMAN HALL: If not, sir, we appreciate  
3 you coming all the way across the country to testify,  
4 and you are excused.

5 THE WITNESS: Yes, sir.

6 (Witness excused.)

7 CHAIRMAN HALL: I have a closing statement, a  
8 brief closing statement, that I'm going to read for the  
9 record. But prior to that, I would like to -- where's  
10 my package of those things? Did you all steal them?  
11 Here they are.

12 Mr. Haueter, do the parties have the action  
13 items from Pittsburgh that you provided, or can I  
14 provide a copy for them?

15 MR. HAUETER: I have a copy.

16 CHAIRMAN HALL: With the dates?

17 MR. HAUETER: The action items? I have a  
18 copy here, sir, I can give it to them.

19 CHAIRMAN HALL: Okay If you all remember,  
20 at the conclusion of the hearing in Pittsburgh, we  
21 identified 19 items, and this information was, that we  
22 have been following up on to complete. And this, Mr.  
23 Haueter will give you a handout that will indicate that  
24 all of these items that were identified, I believe all

1 that work has been completed, is that correct, Mr.  
2 Haueter?

3 MR. HAUETER: Yes.

4 CHAIRMAN HALL: And for that, I want to thank  
5 the parties for your assistance in helping the  
6 investigation and assisting that all of these items  
7 that were identified have been completed. And I would  
8 like now for Mr. Haueter to go over the list of issue  
9 items that we will now follow up as a result of this  
10 public hearing and any other business that you might  
11 have.

12 Mr. Haueter, I will turn it over to you. And  
13 it will probably, since it's not that extensive a list,  
14 you might want to read the items and go through them  
15 and be sure, see if any of the parties have any  
16 comments on them. And also if there are any additions.

17 MR. HAUETER: Okay, thank you, sir.

18 I passed out a list. I have 13 items on it.  
19 The first item is the FAA to report the actions taken  
20 as a result of the critical design review team  
21 recommendations. I believe those will be ready by the  
22 27th.

23 CHAIRMAN HALL: Is that correct, Mr. Donner?  
24 Mr. McSweeney said we could get those by that date?

1 MR. DONNER: Yes, sir. And Mr. Zielinski  
2 will work on it next week.

3 CHAIRMAN HALL: Thank you.

4 MR. HAUETER: Item number 2 is the NASA OV-10  
5 data on the Boeing 727 vortex strength. We believe  
6 that can be available to us before the end of the year,  
7 somewhat dependent on the furlough status of the NASA  
8 personnel.

9 Number three, copy of the FAA letter to the  
10 A6 committee on the formation of the hydraulic fluid  
11 contamination study. We've received a copy of that,  
12 and that issue is completed now.

13 Number four is a copy of the A6 committee  
14 report to the FAA, which we anticipate in March of  
15 1996.

16 Number five is an update on the status of the  
17 flight data recorder rulemaking action by the FAA. Do  
18 you have a date for that?

19 MR. DONNER: No, I don't have a date to offer  
20 at this time.

21 MR. HAUETER: Okay.

22 Number six is the status of the U.S. Air  
23 program to incorporate the service bulletin on the  
24 rudder PCU servo valve. We received that yesterday. I

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 would say they're 75 percent completed and on status to  
2 be completed by the end of the year or shortly  
3 thereafter. So we have that.

4 Number seven, examination of the CVR tapes  
5 from United 585 and U.S. Air 427 for clicks possibly  
6 due to windshield screen wiper lifting and snapping  
7 back, and examination of any other unidentified sounds  
8 on the CVR. Mr. Cash will be working on that. And --

9 CHAIRMAN HALL: If we could hop back just one  
10 second. Did we get the information on who's serving on  
11 these committees, who are the rulemaking committees, or  
12 what were those committees with the FAA on the flight  
13 data recorders? The ARAC committees. We were going to  
14 get those names submitted for the record. And if we  
15 could just add that to the --

16 MR. HAUETER: Number four?

17 CHAIRMAN HALL: Number five.

18 MR. HAUETER: Number five.

19 CHAIRMAN HALL: Yes.

20 MR. HAUETER: Okay. Number eight is  
21 completion of the simulation and kinematic studies  
22 using data provided by the wake vortex test. NTSB and  
23 Boeing. And I would guess from Mr. Kerrigan's  
24 testimony, that's going to be about March of 1996.

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1                   CHAIRMAN HALL: Let's put that target date  
2 down there. Boeing, Mr. Purvis, does that date sound  
3 reasonable?

4                   MR. PURVIS: I'm sorry, what was the date  
5 proposed?

6                   MR. HAUETER: I believe from Mr. Kerrigan's  
7 testimony, he said he thought he would have it done in  
8 March of 1996.

9                   MR. PURVIS: End of March.

10                  MR. HAUETER: End of March of 1996.

11                  CHAIRMAN HALL: End of March. We'll put  
12 March 30th, 31. Okay.

13                  MR. HAUETER: Okay. That also puts the  
14 pressure on Mr. Jacky.

15                  Number nine, asking the ALPA to assist in  
16 providing data on interviews with pilots who have  
17 experienced wake vortex encounters. Mr. Cox indicated  
18 he had done some interviews.

19                  Number 10, systems group of tests, including  
20 the use of the surplus 737. Dates have not been  
21 determined. We're still developing the test plan.  
22 This will include the rudder PCU servo valve  
23 contamination silting testing, tests of a standby  
24 rudder system, cable cut tests, and dynamic and impulse

1 loads to the rudder system. We'll be working on that.

2 CHAIRMAN HALL: Yes, Mr. Purvis?

3 MR. PURVIS: The last three items that he  
4 just went through are all things that we had planned  
5 on. The silting test is nothing that yet has been  
6 planned. Is that an addition?

7 MR. HAUETER: That was identified this week.

8 MR. PURVIS: Are you going to set a date on  
9 that separately from the rest?

10 MR. HAUETER: Yes. All the dates here have  
11 to be developed.

12 MR. PURVIS: Okay.

13 MR. HAUETER: Yes. The systems group plans  
14 to get together within the next few weeks and work on  
15 that.

16 CHAIRMAN HALL: What about the other three?  
17 Can we put a date on those?

18 MR. PURVIS: March 31, we'll aim for that.

19 CHAIRMAN HALL: Okay.

20 MR. PURVIS: Leave to be determined on the  
21 silting test.

22 CHAIRMAN HALL: Right.

23 MR. HAUETER: March 31st, except for silting.

1           Number 11 is the Boeing report on their  
2 analysis of the blue water events in the E&E bay.

3           MR. PURVIS:   The end of the year, of this  
4 year.

5           MR. HAUETER:   End of the year?   Okay.  
6 December 31st.

7           Number 12 is, this should be marked for  
8 Boeing also, it is an update to Exhibit 9X-L on the  
9 roll team event summary, as they further refine that.

10          MR. PURVIS:   I think we've given you all the  
11 current information we have in the form of 9X-L.  We'll  
12 continue to update you as we go.  It's just going to be  
13 an ongoing thing.

14          MR. HAUETER:   Okay.

15          MR. PURVIS:   If that's all right with you?

16          MR. HAUETER:   Yes, that's fine.

17          MR. PURVIS:   Because I don't see an end to  
18 this yet.

19          MR. HAUETER:   Okay.

20          Number 13, study the findings of an unusual  
21 attitude or advanced maneuver programs offered by the  
22 other airlines.  Part of the human performance group  
23 under Malcolm's control.  They are working on that, and  
24 probably into February, March, also, I imagine, to

1 complete that effort.

2 CHAIRMAN HALL: Are there any other items  
3 that any of the parties think that we should be  
4 pursuing as part of this investigation, we ought to  
5 include on this list?

6 (No response.)

7 CHAIRMAN HALL: Do you have anything, Mr.  
8 Purvis, on the human performance effort, specific, that  
9 we should be doing, other than the general  
10 recommendation to expand looking at that?

11 MR. PURVIS: I think there were comments made  
12 by both Mr. McGrew and --

13 CHAIRMAN HALL: Mr. Carriker, we believe.

14 MR. PURVIS: I think it was Mr. Carriker and  
15 yourself, also, about looking in, with the last  
16 witness. I think those ought to be added. Expanding  
17 that.

18 CHAIRMAN HALL: Well, why don't we just note  
19 that as item 14. I'd rather have 14 items than 13,  
20 anyway.

21 (Laughter.)

22 MR. HAUETER: Expand?

23 CHAIRMAN HALL: Just expand that, and put  
24 March 31 on that as well. So that will, hopefully that

1 will become an outside date.

2 MR. HAUETER: I guess the only other issue  
3 that I might bring up is, we did take, there was one  
4 person aboard the preceding flight from Charlotte to  
5 Chicago who heard a noise. We took testimony on that.  
6 We believe that that is not an issue. However, if  
7 there's any other passengers who may have been on the  
8 aircraft that can, heard a noise or something else, we  
9 would be anxious to talk to them.

10 CHAIRMAN HALL: Yes, and if you'd again let  
11 me ask the public, through the media, if there are any  
12 individuals that were on that U.S. Air flight, was that  
13 427, was that a different flight number, wasn't it.

14 We'll try and get that information, the U.S.  
15 Air flight that, was it Jacksonville, I believe?

16 MR. HAUETER: It was from Charlotte to  
17 Chicago.

18 CHAIRMAN HALL: Charlotte to Chicago. That  
19 has any information in regard to the sounds, we would  
20 appreciate them contacting the NTSB as well as the  
21 individual who had heard the sounds.

22 Yes, sir?

23 GENERAL ARMSTRONG: Mr. Chairman, for the  
24 record, that flight number was Flight 1181.

1           CHAIRMAN HALL: Thank you. For the media,  
2 U.S. Air Flight 1181 from Charlotte to Chicago. Anyone  
3 that has information on any of the sounds or anything  
4 they think might be useful to this investigation,  
5 please call Mr. Tom Haueter --

6           (Laughter.)

7           CHAIRMAN HALL: September 8th, 1994, Mr. Tom  
8 Haueter, it's 202-382-6830.

9           So any other items? That gives us a total of  
10 15, right, items? Okay, and if you will get that and  
11 distribute it to the parties, and Mr. Benson will have  
12 it available for the media at the NTSB in case any of  
13 the public or press would like to have a copy of that  
14 list. And we will follow it.

15           Anything else, Mr. Haueter?

16           MR. HAUETER: That's all, sir, thank you.

17           CHAIRMAN HALL: Okay. Let me state, then,  
18 that with the last witness having been heard, this  
19 concludes this phase of the Safety Board's  
20 investigation.

21           Before I get into the balance, I would like  
22 to thank Mr. Donner, the participation of the officials  
23 from the Federal Aviation Administration. General,  
24 again, the participation of U.S. Air. Captain, the

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 participation of the Air Line Pilots Association. We  
2 had to have, Mr. Weik had to leave from Parker  
3 Hannifin. But we appreciate his participation, of  
4 Parker Hannifin. Mr. Purvis, we appreciate the  
5 participation of Boeing Commercial Airplane Group. Mr.  
6 Wurzel, the participation of the International  
7 Association of Machinists. And Mr. Jakse, the  
8 participation of Monsanto.

9 I want to emphasize that this investigation  
10 will remain open to receive, at any time, new and  
11 pertinent information concerning the issues presented.

12 And the Board may, at its discretion, again reopen  
13 this hearing in order that such information may be made  
14 part of the public record.

15 The Board welcomes any information or  
16 recommendations from the parties or the public which  
17 may assist it in its efforts to ensure the safe  
18 operation of commercial aircraft. Any such  
19 recommendations should be sent to the National  
20 Transportation Safety Board, Washington, D.C., 20594,  
21 to Mr. Tom Haueter's attention. Normally, they should  
22 be received 30 days after the receipt of the transcript  
23 of this hearing. However, since there are still  
24 investigation activities open in this case, Mr. Haueter

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 will notify the parties when the final submissions are  
2 due.

3 All the evidence developed in this  
4 investigation and hearing and all recommendations  
5 received within the specified time will be presented  
6 and evaluated in the final report on U.S. Air Flight  
7 427, in which the National Transportation Safety  
8 Board's statement of probable cause will be, a  
9 determination of probable cause, will be stated.

10 On behalf of the National Transportation  
11 Safety Board, I want to again thank the parties for  
12 their cooperation, not only during this proceeding, but  
13 also throughout the entire investigation of this  
14 accident. Also, I want to express sincere appreciation  
15 to all those groups, persons, corporations, and  
16 agencies who have provided their talents so willingly  
17 through this hearing.

18 And again, I want to acknowledge the presence  
19 of the families of the individuals who lost their lives  
20 in the accident that we have been discussing today, and  
21 assure them, as I have individually on numerous  
22 occasions in the past, it is the intent of this Board  
23 to pursue this investigation until we hope a  
24 satisfactory conclusion, which we hope will include

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 finding the probable cause.

2           But all of this, the record of this  
3 investigation, including the transcript of the hearing  
4 and all exhibits entered into the record, will become  
5 part of the Safety Board's public document on this  
6 accident, and will be available for inspection at the  
7 Board's Washington office. Anyone wanting to purchase  
8 a transcript, including the parties to the  
9 investigation, may contact the court reporter directly.

10           This investigation will proceed. We will be  
11 following these items. And we look forward to a  
12 successful conclusion.

13           I want to thank Mr. Haueter for his work as  
14 the investigator in charge, as well as our staff, that  
15 have worked so tirelessly on this investigation. I  
16 would like to especially acknowledge Mr. Bud Laynor.  
17 Mr. Laynor formerly served, is now serving as a  
18 technical advisor to the Board. Mr. Laynor was  
19 previously the Deputy Director and acting Director of  
20 the Office of Aviation Safety. Mr. Laynor,  
21 regrettably, will be retiring from the Board at the end  
22 of this year. And the public will certainly miss him.

23           His years of service have made an outstanding  
24 contribution to the safety of the American public in

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500

1 the area of flight.

2 So unless there are other comments from the  
3 parties, I will now declare this hearing to be in  
4 recess indefinitely.

5 (Whereupon, at 2:45 p.m., the hearing was  
6 concluded.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

1  
2  
3

**CAPITAL HILL REPORTING, INC.**

(202) 466-9500